


Puget Sound Power & Light Company
Docket No. UE-920499
Response to Skagit-Whatcom Area Processors Data Request Number 212

Request:

For each of the 200 highest hourly loads referenced in Request No. 211, identify the month and time of day when the load occurs.

Response by Ms. Lynch:

See Attachment I, Pages 1 and 2, which identify the month and hour for each of the 200 highest hourly loads referenced in Request No. 211.



PUGET SOUND POWER AND LIGHT CO.
 TOP 200 SYSTEM HOURS
 TWELVE MONTHS ENDED SEPTEMBER 30, ~~1992~~ 1988 ^{alh}

RANK	MONTH	DATE	HR	SYSTEM MW	RANK	MONTH	DATE	HR	SYSTEM MW	RANK	MONTH	DATE	HR	SYSTEM MW
151	12	12/24/87	12	3,026										
152	1	01/11/88	19	3,023										
153	12	12/31/87	11	3,023										
154	12	12/30/87	9	3,021										
155	3	03/28/88	8	3,020										
156	1	01/07/88	18	3,019										
157	2	02/25/88	8	3,019										
158	2	02/03/88	19	3,016										
159	1	01/27/88	8	3,014										
160	1	01/12/88	18	3,012										
161	1	01/20/88	9	3,012										
162	12	12/13/87	10	3,012										
163	3	03/16/88	8	3,011										
164	12	12/15/87	17	3,011										
165	12	12/18/87	11	3,011										
166	1	01/18/88	19	3,010										
167	3	03/07/88	8	3,010										
168	3	03/14/88	8	3,010										
169	12	12/22/87	20	3,010										
170	1	01/12/88	19	3,009										
171	12	12/15/87	11	3,007										
172	12	12/11/87	8	3,006										
173	2	02/02/88	21	3,005										
174	12	12/19/87	18	3,005										
175	1	01/06/88	19	3,004										
176	2	02/16/88	9	3,003										
177	1	01/26/88	19	3,002										
178	1	01/03/88	13	3,001										
179	12	12/22/87	11	3,001										
180	2	02/02/88	13	3,000										
181	1	01/09/88	11	2,999										
182	2	02/18/88	8	2,998										
183	1	01/11/88	18	2,996										
184	1	01/18/88	10	2,995										
185	12	12/20/87	18	2,995										
186	12	12/23/87	21	2,995										
187	12	12/27/87	11	2,995										
188	12	12/28/87	9	2,995										
189	1	01/06/88	18	2,994										
190	1	01/21/88	19	2,994										
191	1	01/26/88	10	2,994										
192	12	12/19/87	12	2,993										
193	12	12/25/87	10	2,993										
194	1	01/30/88	11	2,992										
195	1	01/15/88	8	2,991										
196	12	12/30/87	11	2,991										
197	12	12/21/87	11	2,990										
198	12	12/12/87	10	2,988										
199	12	12/19/87	19	2,988										
200	12	12/28/87	11	2,986										

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE WASHINGTON UTILITIES AND
TRANSPORTATION COMMISSION

WASHINGTON UTILITIES AND)
TRANSPORTATION COMMISSION,)
Complainant,)
vs.)
PUGET SOUND POWER & LIGHT,) Cause No. UE-920499
Respondent.)
-----)

The deposition of DAVID W. HOFF in the
above matter was held on August 13, 1992, at 12:45
p.m., at 1300 South Evergreen Park Drive Southwest,
Olympia, Washington.

The parties were present as follows:

COMMISSION, Donald Trotter, Assistant
Attorney General, 1300 S. Evergreen Park Drive S.W.,
Olympia, Washington 98504.

WICFUR, Mark Trincherro, Attorney at Law,
2300 First Interstate Tower, 300 S.W. Fifth Avenue,
Portland, Oregon 97201.

PUGET POWER, James Van Nostrand, Attorney at
Law, One Bellevue Center, Suite 1800, Bellevue,
Washington 98004.

BELLINGHAM COLD STORAGE, TRIDENT SEAFOODS
et al., Carol S. Arnold, Attorney at Law, 5400 -
701 Fifth Avenue, Seattle, Washington 98104.

PUBLIC, Charles F. Adams, Assistant Attorney
General, 900 Fourth Avenue, Suite 2000, TB-14,
Seattle, Washington 98164.

Marilyn Johnson, RPR
Court Reporter

RECEIVED
RECORDS MANAGEMENT
92 AUG 27 11:05
OFFICE OF
ST. AND TRANS.
COMMISSION

ORIGINAL

CONTINENTAL REPORTING SERVICE
SEATTLE, WA 206-624-DEPS (3377)

WASHINGTON UTILITIES AND TRANSPORTATION COMMISSION
UE-920499 18 ✓ ✓

CORRECTIONS TO DEPOSITION OF
DAVID W. HOFF
IN CAUSE UE-920499

Page 5, line 1 consideration should read cost

all Page ~~14~~¹⁰, line 3 went should read want

Page 16, line 24 U-69688-T should read U-89-2688-T

Page 35, line 18 and ORA should read NR

Page 43, line 23 PRINCE should read Colstrip

Page 44, line 4 rent should read run

Page 44, line 5 rent should read run

Page 48, line 16 1783 should read 17/83

Page 48, line 17 1783 should read 17/83

Page 55, line 2 2080 should read 20/80 and 1783 should read
17/83

Page 67, line 18 costs should read losses

Page 76, line 23 U-89811-T should read UE-901183-T

Page 88, line 11 6494.57 should read Schedule 94 rate of .5700

Page 89, line 6 1783 should read 17/83

Page 105, line 8 where should read why

I N D E X	
EXAMINATION BY	PAGE
MR. TROTTER	3
MR. TRINCHERO	35
MS. ARNOLD	41
MR. ADAMS	78
EXHIBIT MARKED ADMITTED	
(NO EXHIBITS MARKED.)	
DEPOSITION REQUEST NUMBER:	PAGE
3	31
4	39
5	62
6	89
7	100
8	107

1 Whereupon,

2 DAVID W. HOFF,
3 having been first duly sworn, was called as a
4 witness herein and was examined and testified as
5 follows:

6
7 E X A M I N A T I O N

8 BY MR. TROTTER:

9 Q. And would you just state your name for the
10 record, please.

11 A. It's David Hoff, H O F F.

12 Q. And you're employed with Puget Power as
13 its director of rate planning and administration?

14 A. Yes.

15 Q. And you've prepared testimony and exhibits
16 in this case?

17 A. Yes.

18 Q. And those were revised by the August 3rd
19 revisions?

20 A. Yes.

21 Q. As revised, that's the testimony that
22 you're supporting in this case?

23 A. Yes.

24 Q. And the exhibits?

25 A. Yes.

1 Q. And I take it you were here for the
2 testimony of the prior two witnesses and you
3 understand the procedures that are applicable here
4 today?

5 A. Yes, I do.

6 Q. Mr. Knutsen passed a few questions your
7 way, and I had asked him about a couple of overall
8 considerations for rate design that he listed in his
9 testimony. He listed I think five factors and I
10 focused on two. One was customer acceptability and
11 the second one was overall economic circumstances in
12 the area. How do you take into account the customer
13 acceptability in your rate design?

14 A. I think primarily we took that into
15 account through the use of a customer task force which
16 we put together to give us advice on how we should
17 prepare this case, and also through the use of the
18 rate design collaborative. So primarily we tried to
19 get input from our customers, and then we took -- as
20 we made the decisions on the actual filing, that
21 played a very important part in our decision process
22 of which rates to use.

23 As far as the overall economic
24 circumstances, I think we took that into account in
25 general when we looked at the concept of gradualism.

1 The ^{COST} ~~considerations~~ ^{all} of service results in this case
2 indicated a movement which would move rates fairly
3 severely for some sectors, and so instead of moving
4 that all of the way, we only ^{went} ~~went~~ one-third of the
5 way, and one of the main reasons for that, you know,
6 there is a concept of price stability, but also that
7 could be disruptive to businesses if they have their
8 rates changed fairly dramatically, so I think that's
9 the way that primarily we used the overall economic
10 circumstances.

11 Q. So you weren't considering any specific
12 condition of the local economy, whether it was robust
13 or in a recession or whatever?

14 A. Not directly, no. I think we consider
15 that it's a little bit fragile right now, that that
16 would give us a little bit more weight instead of
17 trying to make dramatic changes in the prices, but
18 that was not a major consideration.

19 Q. So your main consideration was you need to
20 get all the way there at some point, but for stability
21 purposes, one-third of the way this time is a
22 reasonable way to go?

23 A. Correct.

24 Q. On the customer acceptability factor, if
25 you have a customer come up and say, I hate this rate

1 design, is that meaningful or is this an objective
2 exercise or is it subjective?

3 A. I think rate design has -- we try to make
4 it objective but ends up being subjective. There are
5 -- there's a balancing of a lot of different factors.
6 If a customer would come up to me and say that I hated
7 that rate design, I would try to find out why and see
8 if it's some general nature of the rate design and try
9 and take that into consideration, as I would try to
10 take a lot of other things into consideration, but in
11 general, you know, there's no magic to assigning
12 rates. You have to end up with some number but
13 there's a whole bunch of things that you have to
14 weigh. What customers think is certainly one of them.

15 Q. But I take it you wouldn't recommend the
16 Commission conduct some sort of polling or that sort
17 of thing, you try to hear what your customers are
18 talking about and respond if you can, and stand firm
19 where you can't?

20 A. Oh, definitely, I think that they
21 shouldn't take a polling. You know, a lot of times
22 what's in the best interests of an individual customer
23 is not what's in the best interests to the whole
24 group, and I do also think that one of the advantages
25 of having something like the -- our task force is that

1 you get customers -- you have enough time with the
2 customers so you can explain the situation over a
3 period of time, and they can talk to people other than
4 the company and try to get a better understanding of
5 what's going on. I think in general most persons --
6 people's initial reactions to any rate changes is they
7 don't want them, or they would only want them to go
8 down. I think once they understand all the
9 circumstances and everything, they may have a little
10 bit broader opinion.

11 Q. On page ten of your testimony, you talk
12 about company's avoided costs and you indicate that
13 the data used in this filing is based on the avoided
14 cost in effect at the time of the company's most
15 recent competitive bid solicitation. Is it your
16 intent to update your proposal if a new avoided cost
17 is determined?

18 A. Yes, we would.

19 Q. Do you know when that determination would
20 be made and what generally it would show?

21 A. No, I don't know exactly when. I do know
22 that we have in our competitive bid cycle, have
23 competitive bids in, but they haven't been completed
24 yet and so I know it wouldn't start until we got those
25 completed because the rule says that we're supposed to

1 include the results of those competitive bids, so that
2 would put the earliest it could be sometime in the
3 fall, and, you know, I don't do that calculation
4 myself, so I don't really know exactly when it would
5 be.

6 As far as your second question, what
7 the magnitude of it is, I do know that -- well, it's
8 my understanding that the competitive bids are coming
9 in a little bit below the avoided costs. I think Mr.
10 Knutsen said that a little bit earlier this morning,
11 which would indicate that at least for that portion of
12 the consideration, that that should be a little bit
13 lower, but that's only one of a whole lot of
14 considerations that go into that, and so I really
15 couldn't tell you whether it's going to be up or down.

16 Q. As I indicated with the prior witness, the
17 questions I'll be asking you today are based on your
18 revised testimony and exhibits, and unless I
19 specifically indicate otherwise.

20 A. Fine.

21 Q. Turn to page 19 of your testimony where
22 you talk about elasticity estimates, and you indicate
23 there that if price affects consumption, it affects
24 receipts, which in turn will affect the company's
25 ability to earn allowed revenues. Should this

1 statement be taken in the context of traditional
2 ratemaking or in the context of Puget's decoupling
3 mechanisms or the PRAM?

4 A. Well, I think that statement is true in
5 either context, that the company only eventually gets
6 its revenues through receipts that it recovers from
7 its customers. There isn't any other magic that it
8 gets revenues from, and so receipts should always
9 cover revenues, and so this is true in all cases.

10 Now, what is different under decoupling is
11 the direct link. There's not an identity between
12 receipts and revenues that we've had up until we had
13 decoupling, so there is some change there, but you
14 still have to be concerned because you have to end up
15 getting the dollars in the door in order to cover the
16 revenues that you're booking.

17 Q. In terms of getting dollars in the door,
18 your revenues are not threatened by elasticity under
19 the PRAM in that any under-recovery of allowed
20 revenues would be collected in future PRAMs, is that
21 correct?

22 A. Our revenues are not threatened, but our
23 receipts are, and so that's why I put this statement
24 in there, is that we can't just be cavalier about
25 elasticity, because we may not get the receipts -- we

1 may always be pushing the allowed revenues and so we
2 still have to have that consideration. How this comes
3 down to me is if we ^{want all} ~~went~~ to make an elasticity
4 adjustment in a case, it should be relatively
5 non-controversial because we don't get to keep any of
6 the extras if we address it wrong, so that, for
7 instance, I do have one elasticity adjustment in this
8 case.

9 Q. But if you address it wrong and it comes
10 to pass that you collect too much revenue the
11 customers will get that back, but there will be a time
12 lag between the time they give it and the time they
13 get it back, is that correct?

14 A. Correct.

15 Q. And when you said that you were constantly
16 chasing revenues, are you referring to the deferral
17 piece of the PRAM?

18 A. Would be showing up in the deferral piece.
19 What I am suggesting here, for instance, some of the
20 thought process you'd go through on marginal cost
21 pricing is the increased marginal costs, that
22 elasticity effect, meaning you would be getting less
23 revenues than what you might otherwise have projected.

24 Now, you can pick those up in the next
25 deferral, but then you're also trying to raise those

1 in rates that are based on marginal cost, which are
2 also not recovering the revenues that they're supposed
3 to and that's what I mean by chasing my tail. If you
4 don't actually adjust for that sometime, realize that
5 that's going on and adjust for it, you might never
6 recover that increment that you're always chasing.

7 Q. The current deferred piece from the PRAM,
8 the -- that is articulated by the company in
9 another proceeding, the difference between what it was
10 allowed to collect and what it actually collected, is
11 some \$25.8 million, is that correct?

12 A. That's correct.

13 Q. How does that compare with the price
14 elasticity effects that you're attempting to measure
15 here in terms of dollars?

16 A. I'd say that's much larger than elasticity
17 that I'm concerned about here. You know, I'm not sure
18 how much of a problem this elasticity is. That's why
19 I've only offered the adjustment in the power factor
20 portion of the case. What I'm doing is sort of noting
21 that it could be a factor. I have done some recent
22 studies that indicate it might be a factor of as much
23 as three to three and a half million dollars in the
24 residential sector, but I don't know that and so I'm
25 willing to wait at least for a year or two to see what

1 might happen.

2 Q. Mr. Knutsen talked about price signals to
3 customers. You heard his testimony?

4 A. Yes.

5 Q. Do you generally agree with it?

6 A. I agree with price signals to the
7 customers. I don't recall exactly what -- you know,
8 all the specifics of his testimony, but I agree in
9 general.

10 Q. And the notion being that it appears that
11 utility costs are increasing so it's important that
12 the customers receive that signal in price, is that
13 correct?

14 A. And even if they were decreasing, I would
15 think it's important if they receive those prices,
16 too, that the price signals they get should be
17 relative to their, what I would call marginal cost, in
18 some manner. That is one of the considerations.

19 Q. Now, the company in this proceeding is
20 proposing a decrease to the commercial customer class,
21 is that correct?

22 A. Yes.

23 Q. Page 31 of your testimony, you talk about
24 low income rates, and indicate that they were
25 discussed in depth by both the collaborative group and

1 the task force. Then you go on to say the task force
2 recommended against these rates and the collaborative
3 group did not endorse them as a concept. Would you
4 agree that the collaborative group did not endorse the
5 concept of a specific discounted rate for low income
6 ratepayers primarily because of legal issues, that
7 there was a feeling that legislative activity was
8 needed in this area?

9 A. I'm not sure. It's just the legality of
10 that. I think that several of the members thought
11 that that was most appropriately handled by
12 legislation because it's a social problem, not just a
13 utility-specific problem, but certainly the legal part
14 of it was one of the considerations, I believe.

15 Q. And you go on in line 22 to say there was
16 strong support from both groups for some action to
17 address problems of low income ratepayers, is that
18 correct?

19 A. Yes.

20 Q. And am I correct that there was general
21 concern for lower base rates and emphasis on
22 conservation measures to at least -- to meet some of
23 the concerns of the low income ratepayers?

24 A. Certainly the emphasis of conservation
25 measures for low income people was I think unanimously

1 accepted. The lower base rates, there are -- well, I
2 think that in general was accepted.

3 Q. And this is only a partial solution
4 because at some point low income ratepayers cannot
5 limit their consumption despite all the weatherization
6 measures having been installed?

7 A. Correct.

8 Q. Page 35 of your testimony, you talk about
9 your proposed experimental water heater rate. Mr.
10 Knutsen indicated this was one of the schedules that
11 you would propose go into effect upon its acceptance
12 by the Commission as opposed to waiting for a rate
13 case, something like that.

14 A. Yes.

15 Q. And on page 36, where you're explaining
16 how the rate will work, you indicate there's a monthly
17 discount of \$5.35. Does that amount correspond to
18 Exhibit 15, DWH 8?

19 A. Yes, it does.

20 Q. And the last figure on that exhibit shows
21 the monthly customer credit of \$5.29?

22 A. That's correct.

23 Q. And this credit shown on Exhibit 15 was
24 not affected by any of the revisions that the company
25 went through?

1 A. That's correct, because it -- you know,
2 it's based on the costs -- as Exhibit 15 shows, that's
3 the derivation of that number. Those costs were not
4 affected by the revisions. However, I should point
5 out that due to the experimental nature of this, we've
6 been continuing to revisit the costs that show up on
7 this page on Exhibit 15, and I am afraid that with the
8 latest revision -- or visit that we have, and it's
9 still preliminary so we're not changing the testimony
10 yet, which indicate that this number will probably be
11 lower, considerably lower, but it was not
12 affected -- to answer your first question directly, it
13 was not affected by any of the other revisions that
14 were already in the case.

15 Q. Now, so, for example, this has nothing to
16 do with the change from the basic residential charge
17 down to 4.75?

18 A. That's right. Although, you know, I did
19 round the 5.29 to 5.35 because that made it easily
20 identifiable -- it made it easier for the customer I
21 think to show that then it was just -- the basic
22 charge, but since the basic charge changed, this basic
23 cost did not change, so that relationship would no
24 longer be there.

25 Q. I see. So normal rounding would take it

1 to \$5.30 and now you're saying that another look might
2 mean it's slightly lower yet?

3 A. Yes, another look would -- so far it's
4 indicating it would be lower and it could be more than
5 slightly.

6 Q. But your rationale for the 5.35 was to
7 match the basic charge?

8 A. To match it not in a cost basis but from a
9 customer's perspective basis.

10 Q. But that no longer applies so --

11 A. No longer applies.

12 Q. So you propose \$5.30 as based on this
13 exhibit?

14 A. I would still keep it at 5.35. I guess,
15 you know, if you wanted to change it, it would be --
16 and have it based on this, it could go to 5.30. I
17 think that what'll happen is as we continue to look at
18 this data, we'll be -- you know, I think we
19 can circulate what information we have, and it may be
20 that we'll have to lower it considerably, a type of
21 rebuttal or even before that.

22 Q. Would you agree that power supply from a
23 base rate perspective has not been examined since the
24 U-88 -- excuse me, ^{U-89-2688-T alh} ~~U-69688-T~~ case?

25 A. The power supply?

1 Q. Yes.

2 A. There's up-to-date power supply
3 information that are in these rates, that's in the
4 peak credit, is utilizing basically up-to-date
5 information. The credits for the interruptible rates
6 are using up-to-date information, and the marginal
7 cost rates and the residential in the optional rates
8 are using up-to-date information. When I say up-to-
9 date, that would be revised when we have a new avoided
10 cost filing, but it doesn't go back to 1988. It's
11 more recent than 1988. What the basis of 1988 is is
12 the total cost of service, and the total revenue
13 requirement.

14 Q. And the power costs that go into cost of
15 service in terms of developing general rates have not
16 been reviewed since that docket?

17 A. That is correct.

18 Q. And such a review would take place in the
19 company's next general rate case whenever filed, is
20 that correct?

21 A. Yes, it would, so when we implement the
22 concepts from this case, it would be based on a cost
23 of service that would be updated.

24 Q. And would such a review also have
25 implications for your Exhibit 15 calculation?

1 A. Well, if there's any more information, we
2 would of course include it in that calculation. This
3 is not as open -- this is not embedded cost of
4 service, power supply information that's on this page,
5 so I would use whatever is most available, but the
6 change in those costs would not be that dramatic.
7 It's basically the change in assumption that concerns
8 us as far as the cost of that page.

9 Q. So Exhibit 15 is basically a
10 forward-looking analysis of the type of credit a
11 customer should receive for this particular role they
12 play on your system?

13 A. Yes, I believe that would be a good
14 characterization.

15 Q. Let's focus on some of your specific rate
16 designs in Exhibit 12, DWH-5, and this is your
17 proposed rate schedules that customers will actually
18 take service under and pay rates on if your filing is
19 approved, is that right?

20 A. That's correct.

21 Q. Let's go to Schedule 25 which is small
22 demand, general service, and am I correct if we look
23 at both the October through March and April through
24 September energy charge, there's a declining block
25 rate there?

1 A. Yes. I'd like to also point out, however,
2 that the demand charge is such that there's no demand
3 being paid on the first 20,000 kilowatt hours, so in
4 essence that energy charge includes both a demand and
5 energy component so that, although the energy charge
6 goes down for an average customer, a customer with a
7 load factor of approximately 50 percent, the actual
8 average of both demand and energy costs stays the
9 same. It's a little confusing and this is why we
10 tried to break up the old Schedule 24, because that
11 was confusing as well, and probably still is
12 confusing.

13 Q. Well, I was also looking at Schedule 29,
14 seasonal irrigation drainage pumping service. Is your
15 answer similar for that schedule because that also
16 shows a declining -- an apparent declining block?

17 A. As far as a declining block portion of it,
18 yes.

19 Q. Are you suggesting that these are not
20 actually declining block rates?

21 A. Yes. What I'm saying is that it depends
22 -- because part of the rate has a demand energy cost
23 combined, the other part doesn't. It would depend
24 upon what the customer's load factor or the
25 relationship of their demand to their energy, whether

1 their effective rate of adding both of those two
2 components together actually goes down or not.

3 Q. So is it possible for some customers to be
4 in a real declining block mode?

5 A. Yes.

6 Q. Is that appropriate?

7 A. I think that the rate is appropriate. I
8 would have preferred that this rate be the -- similar
9 to 26 in that it was just flat and not have a block on
10 kilowatts. However, when I tried that, I found out
11 that because this is sort of the transitional block
12 between people who are close to the point where they
13 -- where they have 48 or 49 kilowatts versus 51, 52,
14 that that severely affected that change to going --
15 just the change going from two -- from the declining
16 block schedule to a straight schedule, had severely
17 impacted some certain customers.

18 It had the effect of significantly
19 increasing the actual bills to some customers, even
20 though the class as a whole had a decrease, and we
21 found that out because we have a capability now of
22 actually going into customer's bills on a large sample
23 basis and price them out under the two rates. Had we
24 not had that capability, we wouldn't have found that
25 out, then you would have seen a flat rate here, but we

1 did find that out and so there's real difficulty in
2 this transitional group, and so we had
3 to maintain the structure of the old schedule.

4 Q. So in theory, you would not have proposed
5 a declining block rate that we see in Schedule 25 and
6 29, but it was the specific circumstances of the
7 customers within that schedule that led you to
8 maintain this type of design?

9 A. That's correct. Again, I don't like to
10 characterize this as declining block rate in that it's
11 a combination of the demand and energy, it's not
12 declining -- but that's correct.

13 Q. Okay. But you did say that for some
14 customers, it would have the effect of a declining
15 block rate?

16 A. That's right. It's also true that for
17 some customers it's an increasing block rate.

18 Q. What other mechanisms did you consider to
19 assure that these schedules were not declining block
20 rates for any customer? You mentioned flat rate
21 similar to Schedule 26.

22 A. That's all I came up with.

23 Q. Did you consider -- or would you consider
24 now an inclining rate but perhaps less steep or in
25 some manner phase-in, similar to your let's go

1 one-third of the way policy? Is there anything that
2 could be done in that area?

3 A. Well, the problem has to do with the
4 demand, and if you're going to offer any portion of
5 the demand without charging for it. If you're not
6 going to do that, then you can have a flat rate, which
7 is what Schedule 26 is, but, again, because of the
8 transitional nature of this, you've got people in the
9 past who are getting that credit who may have been
10 using a lot more demand than that credit is giving,
11 and so essentially getting that demand free, that
12 would then when you went to the new rate have this
13 large increase, so I would -- you know, I would
14 consider anything that might correct what I would say
15 the straightforwardness of the Schedule 26, correct
16 that for 25, but, you know, I was unable to come up
17 with anything that was better than what we proposed.

18 Q. Why not impose the demand charge on all
19 demand and eliminate the declining block rate?

20 A. Okay. That's exactly what we did
21 originally look at.

22 Q. Okay. That's the Schedule 26 solution?

23 A. Yes, that's the Schedule 26 solution.

24 Q. All right. Do the rates in Schedules 24,
25 25 and 26 take into account that the coincident peak

1 load factor of the small customers was higher than
2 that of the large customers?

3 A. They take into account the fact -- you
4 know, what the coincident peak factors are for those
5 classes of customers. I don't then separate out from
6 the classes additional information. Basically when
7 the cost of service analysis is run for these three
8 classes, it looks at the classes' coincident peak
9 factors.

10 Q. And you assumed a load factor of 50
11 percent for each of the classes in these schedules?

12 A. That's a load factor. That's not
13 coincident peak.

14 Q. But I did -- I am shifting now.

15 A. That's just for the purposes of
16 illustrating the effects of the rate. We don't assume
17 any particular load factor for -- you know, when we're
18 doing the coincident peak analysis, coincident peak
19 analysis is looking at actual metered or sampled
20 metered data and just measured that -- who is on at
21 the coincident peak at that point. Doesn't have any
22 load factor assumption.

23 Q. So the load factor of 50 percent that you
24 show in your monthly typical bill comparisons in
25 Exhibit 14 do not relate to the coincident peak load

1 factor that you used in developing your schedules?

2 A. Not directly, no.

3 Q. And so you did not -- you looked at the
4 class as a whole, not the load factors of various
5 sizes of customers within each class?

6 A. That's correct. Now, when we were looking
7 at the impacts with this analysis I was telling you
8 about, we did look at their actual load factors.

9 Q. Why does Puget need a separate irrigation
10 rate in Schedule 29 when the general rate schedules --
11 Schedule 25 has seasonal rates?

12 A. Well, that's a good question. We have a
13 separate irrigation rate -- historically we've had a
14 separate irrigation rate, and there has been
15 acknowledgment in the region that irrigation customers
16 have separate cost characteristics than non-irrigation
17 customers do, so we have sort of this tradition that
18 -- you know, the existing schedule. It's my feeling
19 that the need to have a differential between
20 irrigation and non-irrigation is less now than it was
21 when we didn't have that differential, but primarily
22 because of the reasons of rate stability and
23 continuation and that sort of thing, we did not
24 propose to eliminate the irrigation schedule in this
25 filing.

1 Q. So I got three reasons there, rate
2 stability, tradition and separate cost characteristics.
3 Anything else?

4 A. No.

5 Q. Let's talk about separate cost
6 characteristics. You mentioned that that was -- the
7 record will speak for itself, but that's been alleged
8 by members in this customer class, irrigators. Is
9 that something your studies have been able to confirm
10 or deny?

11 A. Yeah, I'd say it's more than been alleged
12 by the customer class. Bonneville Power
13 Administration has a separate rate schedule for
14 irrigation, and so it's been acknowledged I think in
15 the region. Our cost studies don't really support the
16 differential that we have. I should point out that,
17 however, of the overall cost of service of the class
18 -- when we're looking at how much that class should
19 pay, that small class we're talking about, Schedule
20 29, now versus the rest of the general service class,
21 what happens is that the total class is paying too
22 much. Irrigation is paying less than the total class,
23 but if you look at the relationship between irrigation
24 and the total class and how much the total class is
25 paying too much, my conclusion is that the irrigation

1 as a class is probably paying about right, so that
2 even though there's this differential, the
3 differential is because the rest of the class is
4 paying too much, not because irrigation is paying too
5 little.

6 Q. I would assume at some point, if the rates
7 between the two schedules become within a dime or a
8 nickel, there would be no reason to have a separate
9 schedule?

10 A. That would be right.

11 Q. Turning to Schedule 31, primary general
12 service, and focusing on the energy charge, your prior
13 tariff for October to March was 2.8840 cents, and from
14 April to June was 2.7467 cents. Would you accept
15 that?

16 A. Why don't you go ahead and give them to me
17 one more time.

18 Q. The October to March was 2.8840, and the
19 April through September was 2.7467.

20 A. Correct.

21 Q. So this shows a decrease in the energy
22 charge from current rates. Would you explain the
23 reason for that?

24 A. Sure. Because the demand charge went up,
25 and if the demand charge goes up, the energy charge

1 would have to go down.

2 First of all, perhaps it's best explained
3 by looking at my Exhibit 13, and if you look first of
4 all -- are you there?

5 Q. Yes.

6 A. If you look first of all on line eight --

7 Q. Which page?

8 A. This would be --

9 Q. Oh, I'm sorry.

10 A. There's only one page.

11 Q. I kept your old one.

12 A. So did I.

13 Q. I'm sorry. Start over, please.

14 A. Okay. Line eight, you'll see going across
15 there, it says a percent increase or decrease, this is
16 the percent increase that we're giving to the class as
17 a whole. When you say there's only 1.6 percent to the
18 class as a whole, so that it's 1.63 percent under
19 primary which is column six, so that that means that
20 the class itself is not changing very much, the
21 revenues that we're allocating to that class. Then
22 you go on down that column six and you'll see line 13,
23 which is called the adjusted demand cost of service,
24 of \$18 million. That's how much the cost of service
25 says out of the total cost of service should be

1 allocated to demand, and then you go down one row
2 below that at 14 and at the existing demand charge,
3 we're only collecting 14.1 million of the 18 million
4 of the cost that the cost of service says we should be
5 collecting, so that tells me that demand charge is set
6 too low, and I have to increase it.

7 Now, because I'm not willing to go all the
8 way at one time, I'm taking the difference which is
9 line 15 of \$3.8 million, that's the difference between
10 the 18 and the 14 one, I'm taking that by half, adding
11 1.9 million to the amount of revenues collected from
12 demand charges, leaving \$16 million that I should be
13 collecting demand charged.

14 The main point here is that the demand
15 charge has to go up in order to balance demand and
16 energy in the context of the overall revenue
17 requirement for the class. If that goes up, and I'm
18 collecting another \$1.9 million from demand, I'm not
19 going to be able to collect that from energy any more
20 and so the energy has to go down.

21 Q. Would maintaining the energy rates at
22 existing levels cause you to over-recover the \$18
23 million -- oh, the \$18 million is only the allocation
24 to demand, is that correct?

25 A. That's right.

1 Q. Schedule 31 shows a demand charge of \$3.61
2 for April through September, whereas Schedule 29 for
3 that same period shows a demand charge of \$2.30 for
4 the seasonal irrigation customers at \$2.30 being
5 approximately 57 percent lower, and the summer charge
6 -- excuse me. Could you indicate the justification
7 for that difference?

8 A. Again, I think that you can't -- I can't
9 really look to cost of service to get a justification
10 for the specific differential on that demand charge.
11 What I can do is sort of repeat what I'd said about
12 the overall return to Schedule 29 being at about
13 its cost of service for a class, and so therefore I
14 think that rate in general is appropriate, and then I
15 have the other rate in Schedule 31, and this happens
16 to be the difference.

17 Q. Is your answer the same with respect to
18 the energy charges?

19 A. Well, actually, if you're going to compare
20 29 with 31, 29 is general service and 31 is primary,
21 and so the direct comparisons get to be more difficult
22 because it's an entirely different class. I think
23 that the answer would be, I guess, in general the same.

24 Q. If you'd turn to Schedule 7, residential
25 service, we noticed that \$5.35 basic charge was there.

1 I take it that should also have been changed to 4.75?

2 A. Yes. You may not have picked this up, but
3 in Exhibit 14, with the revisions, there are two pages
4 that are at the end of that, pages 17 and 18, and they
5 basically show all of the new tariffs, all of the new
6 schedules that were changed. When the cost of service
7 level changed, as Ms. Lynch said it did, the way we
8 did these allocations, because they're cost based, it
9 changed most of the rates, and so you'll see a filed
10 and then a revised 7/27/92. All of the rates in the
11 revised 7/27/92 would be replacing the filed rates.

12 Q. I got a little confused because we got
13 certain substitute tariff sheets, for example,
14 Schedule 26 was the subject of revised tariff sheet
15 where the text of the tariff was actually changed, the
16 words, so do I take it correctly that if it was just a
17 rate that changed, you didn't file a revised tariff
18 sheet for exhibit purposes, but rather just showed it
19 on page 17 and 18 of Exhibit 14?

20 A. That's correct.

21 Q. Okay. So if we're looking at Schedule 7
22 and we see that \$5.35 is the charge there, it's wrong?

23 A. That's right. You should go back to the
24 Schedule 17 to see what the latest version of the rate
25 is, and it would be 4.75, so that the basic charge is

1 4.75 and 10.80.

2 Q. Could we go off the record, please.

3 (Discussion off the record.)

4 BY MR. TROTTER:

5 Q. As a response to Deposition Request No. 3,
6 if you could provide just for exhibit purposes a
7 revised Exhibit 12 showing all changes.

8 A. Okay.

9 (Deposition Request No. 3.)

10 Q. But at present we combine those summary
11 sheets from Exhibit 14 and include them into Exhibit
12 12 and we've got a current proposal?

13 A. Yes.

14 Q. You discuss on page 50 of your testimony
15 schedules 43 and 46, and you indicate that you're
16 freezing these schedules, that they will not be
17 available to new customers upon approval of the
18 proposed rates. Do you anticipate closing these
19 schedules to additional loads of current customers as
20 well?

21 A. No, just closing the schedules to new
22 customers.

23 Q. Why if you don't want new customers coming
24 in, why would you want increase for new loads from
25 existing customers?

1 A. I probably wouldn't, except that I think
2 it would be a little difficult to apply a tariff on
3 a certain portion of somebody's load and then another
4 tariff on another portion of their load, so no great
5 philosophical reason, it's more a practical reason.

6 Q. But practically speaking, you could put
7 different meters on or something? Is that a big deal
8 or --

9 A. Actually, I didn't even think of
10 restricting it to existing load. I guess you'd have
11 problems of establishing what existing load is. If
12 it's the load of last year or the highest load of the
13 last five years.

14 Q. Maybe the load associated with the
15 facility?

16 A. I mean, you could get into something like
17 that. I'd prefer not to, but --

18 Q. These particular schedules are not
19 particularly helpful to Puget's load shape, is that
20 correct?

21 A. Yeah. I think that the new interruptible
22 schedules will be better than these existing ones. I
23 think that, you know, they're serving their
24 purpose, but I think we felt that -- that new tariffs
25 would be better.

1 Q. On page 54 of your testimony, you're
2 referring to the Interruptible Service Credit Firm.
3 In the last line you indicate the company made an
4 adjustment for lost revenues. Could you explain why,
5 given the coupling, you would make such an adjustment?

6 A. Well, we wouldn't make it based on the
7 revenue to the company's basis, because we don't lose
8 any revenue. We are concerned about customer impacts.
9 If you do an adjustment for lost revenue, you minimize
10 the impacts on other customers of that lost revenue
11 and so that's why we made the adjustment.

12 Q. Could you just explain exactly what
13 adjustment you made?

14 A. We subtracted off the amount of money that
15 we would have collected from the customer had he
16 generated instead of interrupted.

17 Q. And you subtracted it where?

18 A. From the value of the interruption, so
19 that the value of interruption was then decreased.

20 Q. On Schedule 35, back to the irrigation
21 tariff, you show a basic charge of \$105. Am I correct
22 that's an increase from \$48.55?

23 A. That's correct.

24 Q. And the same is true for Schedule 43,
25 interruptible primary service, for total electric

1 schedules?

2 A. I believe that's correct. Just let me
3 check. Yes, that's correct.

4 Q. Would you explain the basis for that
5 increase?

6 A. I think we wanted to make the basic charge
7 comparable -- wanted to make it comparable with the
8 basic charge in Schedule 39, and so Schedule 31, 35
9 and 43, which are all primary general service
10 customers, will all have the same basic charge.

11 Q. So Schedule 31 that drove the costs and
12 just the comparability policy caused the
13 application --

14 A. That's right.

15 Q. I notice schedule 35 says the basic charge
16 is \$105 plus, and Schedule 31 does not contain that
17 word plus and schedule 43 also does not contain that
18 additional word. What is the reason for that?

19 A. I think that is an error. The basic
20 charge is \$105.

21 Q. We can disregard the plus?

22 A. Disregard the plus.

23 Q. Nothing further. Thank you.

24

25

1 EXAMINATION

2 BY MR. TRINCHERO:

3 Q. Good afternoon, Mr. Hoff.

4 A. Good afternoon.

5 Q. A couple of quick questions here. Do you
6 have copies with you of your responses to WICFUR data
7 requests?

8 A. Just happen to have some, yes.

9 Q. Great. I would like to have you turn your
10 attention to request 310 and your response to that.

11 A. Okay.

12 Q. And your response basically is the
13 attachment of a long-term firm avoided cost forecast
14 for the company. On page 11 of that document, the
15 paragraph in the middle of the page that says, "The
16 total avoided cost for the combined cycle combustion
17 turbine must be broken into seasonal firm energy and
18 capacity components as was done for the BPA and ~~ERA~~^{NR}
19 rate." *alw*

20 Would you please just describe the
21 rationale for the seasonal differential there?

22 A. First of all, this is prepared by the
23 power supply people, so I take this as fact, but I
24 will give you my understanding of this, is that I
25 think everybody feels that there probably should be

1 some sort of seasonal differential. Very few people
2 know exactly what it should be. BPA has been bold
3 enough to actually have a seasonal differential in
4 their rate that they charge to us in the NR rate, and
5 so having nothing better, we picked up that, and then
6 utilized it to establish our differential.

7 Q. Fair enough. If I could refer you to your
8 testimony at page 12, lines 12 through 15, where you
9 discuss the determination that a reasonable estimate
10 of the difference in time of day costs -- no, I'm
11 sorry. Got the wrong page. "For purposes of
12 determining capacity costs, you've taken the midway
13 point between the cost of a one-year capacity contract
14 and the full fixed cost of a CT," and in response to
15 WICFUR's data request No. 313, is it correct that you
16 said that "this assumption was a professional
17 judgment," is that right?

18 A. That's the answer I got from the power
19 supply people of what would be an appropriate number.
20 It's also very similar to the calculation that takes
21 the half of a cost of a simple cycle CT and then
22 compares it to -- or compares it to the combined cycle
23 CT when the -- peak credit type method, so when we ask
24 these questions to the power supply people, we
25 generally tend to get answers like this, that this is

1 reasonable, you know, they're in the business all the
2 time, they get -- you know, they have a good feel for
3 this, but --

4 Q. In giving you that response, have they
5 provided you with any of the considerations that they
6 look at that provide them with the basis for this
7 professional judgment?

8 A. Just verbally they basically say that it
9 should be about halfway between this and this.
10 There's a whole lot of things that are involved in
11 this, and so that's what it should be.

12 Q. Would it be reasonable to assume that
13 other professionals may make a professional judgment
14 that say three-quarters of the differential would be
15 appropriate?

16 A. Well, I'm sure our professionals are
17 better than your professionals, but yes, I'm sure it
18 would be.

19 Q. Okay. That's good. All right. Follow up
20 on a couple of questions that staff counsel asked a
21 few moments ago. First regarding Schedules 48 and 46,
22 you mentioned the pragmatic concerns that kept you
23 from limiting or prohibiting new additional loads from
24 existing customers.

25 Do you have any estimate of the cost to

1 the company of actually trying to meter separately new
2 loads for existing customers from existing loads and
3 trying to charge them a different rate on each?

4 A. I'm sure we would have that kind of costs.
5 I don't know. It's probably in the data here
6 someplace about what the cost of metering would be,
7 but I don't have it off the top of my head.

8 Q. And is it correct to say that the company
9 in this rate design proceeding does not intend to
10 propose --

11 A. That's correct.

12 Q. Regarding the interruptible service
13 credit, I believe you stated that the lost revenues
14 adjustment actually lowered the value of interruption
15 by the amount of revenues lost, basically.

16 A. That's correct.

17 Q. Is that correct? And you stated that
18 that was done in order to minimize the impact to other
19 customers?

20 A. That's right, because essentially other
21 customers would make up in their rates that
22 differential. At least eventually.

23 Q. At least eventually. Would that -- isn't
24 it correct that that would occur after the next
25 general rate case?

1 A. That would be in the next PRAM,
2 essentially, be the next -- would show up as some
3 small increment in the deferral which would show up in
4 the next PRAM.

5 Q. Do you have any estimate of the magnitude
6 of that?

7 A. I think it would probably be pretty small.

8 Q. Like to make a deposition request,
9 Deposition Request No. 4, I guess it would be. If you
10 could by customer class provide the impact of not
11 having made the lost revenue adjustment, the value of
12 interruptible power, is that possible?

13 A. Can I ask -- well, I'll have to assume how
14 much we're going to interrupt. I mean, I can do it on
15 a kilowatt hour basis. It's a very simple answer.

16 Q. That would be fine.

17 A. Okay.

18 (Deposition Request No. 4.)

19 MR. ADAMS: Could you restate that?

20 MR. TRINCHERO: Sure. What I've asked the
21 witness to provide is a document that will show the
22 impact on other customer by customer class of the
23 company not having subtracted the lost revenues from
24 the value of interruption in the interruptible rate.

25 MR. ADAMS: Thank you.

1 MR. TRINCHERO:

2 Q. Do you have copies of your responses to
3 staff's data request?

4 A. Yes, I do.

5 Q. Could I turn you to the response to staff
6 Data Request No. 21?

7 A. Okay.

8 Q. In that data request, you were asked to
9 provide the average marginal cost of serving an
10 additional customer in each of the following service
11 classes, residential, secondary voltage, primary
12 voltage, high voltage, street and area lighting and
13 firm resale, and in your response you have attached a
14 schedule of avoided costs which I believe was done in
15 1990, is that correct?

16 A. This has September 1991? I believe it's
17 September 1991.

18 Q. Right. September 1991. At the end of the
19 first paragraph you have a note, "no analysis has been
20 done for high voltage street and area wiring for firm
21 resale customers." Do you anticipate that the company
22 will be doing such a study or an analysis in the near
23 future?

24 A. We don't have any plans to do one right
25 now.

1 Q. Also is it your position that the schedule
2 of avoided costs is the same as the average marginal
3 cost?

4 A. You can calculate from the information
5 given on the schedule of avoided costs a marginal cost
6 for whatever characteristic that you're looking for
7 and for whatever time period you're looking for, so I
8 guess the average marginal cost is a very broad term.
9 What I would say is that avoided cost information can
10 give you a marginal cost of marginal -- marginal
11 resource cost for whatever assumptions you want to
12 make.

13 Q. I have no further questions. Thank you.

14

15 E X A M I N A T I O N

16 BY MS. ARNOLD:

17 Q. Are you ready?

18 A. I'm ready.

19 Q. Mr. Hoff, turn please to page 12 of your
20 testimony, Exhibit 8.

21 A. Okay.

22 Q. The question at line 16, SWAP asked you
23 approximately the same question, and we received an
24 answer in the response to SWAP Data Request No. 214.
25 Do you have that with you?

1 A. Yes, I do.

2 Q. Now, you were asked to provide your
3 avoided cost and seasonal values of power data which
4 you referred to in your answer -- in your testimony to
5 evaluate the seasonal cost variation, and you referred
6 us to three other documents, and I would like to refer
7 you to those now.

8 A. Okay.

9 Q. You first of all referred us to the
10 response to WICFUR Data Request No. 312 for seasonal
11 power cost variations. Do you have WICFUR -- response
12 to WICFUR's No. 312?

13 A. Yes, I do.

14 Q. Now, will you explain to me how you used
15 the company's hourly resource cost information to
16 evaluate the seasonal cost variation?

17 A. I hope I can. This information -- we
18 referred to this around the shop as the tea leaves,
19 because this is the tea leaves that the power supply
20 people look at to come back with information
21 that says there's a six mill differentiation between
22 summer and winter. Something they have to look at
23 that hopefully we can look at to find the information.

24 But basically this is supporting the
25 contention or the statement in my testimony that

1 there's about a six mill differential between summer
2 and winter energy, and so the way they get that from
3 here is -- what they've done is this is a
4 representation of information that they look at on a
5 continual basis, and they look at all these costs and
6 they basically dispatch, and buy and sell based on
7 cost that shows up on a sheet like this. And so when
8 they're looking at the market, when they say there's a
9 six mill differential, what they tell us is that in
10 looking at the market at any point in time, it appears
11 that in the wintertime versus the summertime the cost
12 is about six mills difference, and they have high load
13 hours versus the low load hours, it's about a four
14 mill differential, and in the -- and let me see if I
15 can help you try to understand how they get this
16 information from looking at this.

17 Let's start with say the first page. This
18 is a typical day which they after looking at some
19 information picked as June 13th, and then what this
20 table shows goes to -- going across the columns you
21 have first the type, which is coal generation, oil and
22 gas, Puget hydro, mid-Columbia, et cetera. Then you
23 have the types of resources, Centralia plant, ^{COLSTRIP} Princee, *all*
24 we also have generation under mid-Columbia, et cetera.
25 Then you have the important part, one of the important

1 parts, which is the incremental rate, and that is the
2 price that this resource is costing them or their
3 estimated price that this is costing them on an
4 incremental basis, if they ^{RUN all} ~~rent~~ it versus if they
5 don't ^{RUN all} ~~rent~~ it, if they get the value from the
6 contract or if they don't.

7 Then the next columns, the 24 columns
8 after that are each one of the hours of the day, and
9 then reading down that you'll see how many average
10 megawatts we get from each one of the resources that
11 are on the left, and so, for instance, on this day at
12 1:00 in the morning, we got 36 average megawatts from
13 Centralia, and an incremental cost of 8.32 mills,
14 and at 2:00 in the morning we got the same amount, the
15 same costs, 3:00, et cetera, and then all of a sudden
16 at 11:00 that morning went up from 38 average
17 megawatts to 119 average megawatts, and so reading
18 across you can see how many resources we got, how many
19 megawatt hours we got from that resource, and then
20 what you do is you go down then through all of this to
21 go up to the bottom, which is the load, which is what
22 they're actually having to buy all these resources
23 for, and you see at the very bottom that at 1:00 in
24 the morning when they were serving a load of 1510
25 average megawatts, and if you had looked at each

1 one of these resources, they'll add up to that, and if
2 you continue to go over at 1:00 in the afternoon,
3 1300 hours, they got 2223 average megawatts. This
4 is all a long explanation to get to the point that the
5 real marginal resource on this thing shows up in the
6 secondary purchase and secondary sales, and you'll see
7 in June of 13 that we were -- there's a lot of sales
8 there. They show up as minuses instead of pluses.
9 There's a PGE sale to San Fran -- sale at 12 mills.
10 There's a PGE sale at 11 mills. There's another PGE
11 sale at 12 mills. Well, looking at that, it appears
12 that that marginal resource was costing us about 12
13 mills during that summer period.

14 Okay? Now you go to the winter, and
15 let's look at -- let's go two pages down to the
16 typical day, 1-2-91, and you'll see that you have some
17 resources there that are more expensive on the second
18 purchases and here they look like they're around 22
19 mills, 24 mills, 25 mills, so
20 that appears that if you look just at that summer
21 month versus that winter month, there was a
22 differential of around 12 mills.

23 Now, when they look at this in general,
24 they think, well, in general that's kind of around six
25 mills but in this particular case it was 12 mills.

1 Then they also look at the time of -- at the hourly
2 differentials as well between morning and evening.
3 Probably not as concerned about that. But that's one
4 of the pieces of information. So these are sort of
5 existing daily sort of differentials.

6 Then the other -- so that's now I used
7 that information, and from power supply telling me,
8 they say this stuff averages out to around six mill
9 differential. They can't point to specific things
10 other than stuff like this, and, you know, sheets of
11 this, but they tell me about six mill differentials.
12 But then what -- you know, I need something a little
13 more concrete if I'm going to base a summer/winter
14 differential, and so then I look to the avoided cost
15 numbers.

16 Q. Before you get to that, let me stop you
17 here.

18 A. Okay.

19 Q. How do the power supply people decide
20 what's winter and what's summer for purposes of making
21 this six mill differential?

22 A. You know, I'm not sure exactly what their
23 definition of winter and summer is, because generally
24 when we talk it's in terms of winter and summer not,
25 you know, November, December, February, March, April,

1 versus October versus November. I think that
2 generally when we talk in the company, we're talking
3 about winter in the terms of November -- October,
4 November, December, January, February, March, the
5 period that our rates changed. That's what I always
6 think of because it's a period when our rates changed.
7 Maybe that we miscommunicate sometimes because I'm not
8 sure what they're thinking, but I always talk in
9 terms of the rate differentials, put the year into two
10 equal parts and start the first one -- the winter
11 one in October and the other one in May.

12 Q. Go on. You were about to testify about
13 the avoided cost study.

14 A. Okay. So then we have the avoided costs,
15 I think 310.

16 Q. Right. I think --

17 A. We already talked about it. Then there
18 is --

19 Q. Wait a minute. Before you go on, you
20 talked about that in somewhat of a different context.
21 Tell me how you used the avoided cost study to
22 evaluate seasonal cost variations?

23 A. I'm sorry?

24 Q. How do you use the avoided cost study to
25 evaluate seasonal cost variations?

1 A. Okay. If you look at the page 15 of that
2 study, last page, should have two columns that say --
3 one says winter and one says summer.

4 Q. Right.

5 A. That shows a differential that they have
6 for a cost between summer and winter, and so what we
7 do, what we have done is, you know, in order to use
8 that information, you have to have some load that's --
9 characteristics of load and you have to have
10 characteristics of demand, and so with certain
11 assumptions you can then use this information to come
12 out with what the actual cost is, summer or winter.
13 And so what we've done is taken this information and
14 actually -- we've updated it because this information
15 is based on a demand energy split of 20/80 which is
16 what we used to always use. Now we're using ^{17/83} ~~17/83~~, so *all*
17 this was updated to a ^{17/83} ~~17/83~~ differential, so it's not *all*
18 exactly these same numbers. Basically we put it into
19 a model that just calculates based on certain
20 assumptions, and what -- where we got our 10 percent
21 differential is looking at water heat, the
22 characteristics of water heat load for 12 years, and
23 then separating that into the costs that occurred in
24 the summer, according to this analysis, and the costs
25 in the winter in this analysis, looked at those two

1 differences and they were 10 percent different, and so
2 that's the foundation for the actual number of 10
3 percent.

4 Now, I want to caution you that this is
5 not 10.00 percent of an accuracy of -- it's like
6 between five and 15, and in fact, you know, used to be
7 five. We felt that five was probably too little, so
8 we needed to change. We have some numbers that
9 indicate at least for a particular type of load 10
10 percent is a good number. It's probably better than
11 15, and so we used ten percent, so it's not highly
12 accurate but it does respect the fact that most people
13 agree that there are differentials between summer and
14 winter.

15 Q. The differentials in the avoided cost
16 study define winter as September through March, and
17 for your tariffs you define winter as October through
18 March. Do you take that difference into
19 consideration?

20 A. No. It's probably -- the September is
21 probably a bit of an inconsistency there, but again
22 it's not in the magnitude of the rounding that's going
23 on, doesn't bother me.

24 Q. In your answer to SWAP Data Request No.
25 14, you also refer us to the winter and summer

1 marginal water heating cost as described in response
2 to staff Data Request No. 10, and I think you just
3 mentioned that.

4 A. I just explained that, yes.

5 Q. Would you turn to the response to staff
6 Data Request No. 10, please?

7 A. Yes, uh-huh.

8 Q. Why did you choose the water heater
9 customer as your reference point?

10 A. That's a reference for several things.
11 It's the reference for our -- for the tail block, for
12 the marginal cost rate, and I think the reason is that
13 is number one, residential sector is the largest
14 sector, number two, water heat is one of the largest
15 loads of that sector, 75 -- over 75 percent, I think
16 it's 85 percent of our customers, have electric water
17 heat, so it's a fairly large load. It has
18 characteristics that are similar to a lot of other
19 loads particularly in the residential sector. The
20 focus is, I must admit, primarily focused on the
21 residential when we're looking at this stuff, and
22 that's again because residential is a little over half
23 of our load, and so we just felt that water heat being
24 representative has the load shapes that are similar to
25 a lot of other load shapes in the residential sector,

1 with the exception of space heat, and it was a fairly
2 large load, lot of customers had it, that that would
3 be a fairly representative load.

4 Q. Is the water heater load consistent
5 between summer and winter? Is it about the same?

6 A. It has some load that's higher in the
7 winter than the summer. There was a response to a
8 data request, I don't remember where it was now, that
9 actually shows the load profile for the residential
10 sector, and it does show that there is some
11 differential between summer and winter. That would be
12 response to staff's Data Request 20.

13 Q. Thank you.

14 A. Yes.

15 Q. In your answer to staff Data Request No.
16 10 about three-fourths of the way down on that
17 paragraph, you say "it," meaning the differential, is
18 meant instead to be a rough estimate of the magnitude
19 of difference between the seasons. The 50 percent
20 differential and the demand rate is a similar rough
21 estimate of magnitude which reflects the impacts of
22 coincident and non-coincident costs on a demand
23 charge, and is new to this filing. Would you explain
24 what you meant by that last sentence, the one that
25 begins with the 50 percent differential?

1 A. Well, yeah. First of all, the last part
2 of it is easy to explain. We haven't had a
3 differential in demand charges before.

4 Q. Right.

5 A. And I think that the collaborative group
6 felt that -- and I think most of us think that there
7 should be a differential, and so we attempted to put
8 one in. The first part tries to roughly explain how
9 we get this 50 percent differential. What that -- how
10 we do that is basically look at costs that -- see,
11 first of all, you've got to start with the notion that
12 demand costs really are annual costs. I mean, they
13 occur once, but generally are collected over a
14 12-month basis.

15 In other words, there's a winter peak
16 demand and coincident peak demand, but you have to --
17 generally you don't want to just charge it on that
18 day, you want to carry it over a 12-month basis, and
19 so you look at the types of demands and you look at
20 the coincident, meaning everybody is on at the same
21 time that the system is having their peak, generally
22 in the wintertime, and there's certain costs related
23 to that that probably should only be collected during
24 the winter months.

25 Surely someone that's on in the summertime

1 and not on in the wintertime will not participate in
2 that kind of a demand, system energy demand peaking.
3 However, their other costs, the non-coincident costs,
4 that could occur year round. They're based on when
5 that customer has its peak, and that could be in the
6 summer or fall or winter, so we want to try to have a
7 demand schedule that divides those costs that could
8 occur year-round on a year-round basis, and so you
9 would divide the charge -- look at the charge over a
10 12-month period and if it's \$100, \$120, you divide it
11 by 12 and charge \$10 per month. The ones that will
12 only be occurring in the wintertime, you would
13 probably only want to charge during the wintertime,
14 and so where that 50 percent comes from is looking at
15 what happens if you only charge the production related
16 demand charges for a six-month period in the
17 wintertime. So you're taking a cost and dividing
18 it by six versus all the other costs that you would be
19 dividing by 12, and when you do that, you get a
20 differential that's roughly in the neighborhood of 50
21 percent, and again it's roughly in the neighborhood
22 because this is not precise in any manner, but it does
23 reflect a differential that I think is more
24 supportable than having it flat and having it
25 constant. Did you understand all that?

CONTINENTAL REPORTING SERVICE
SEATTLE, WA 206-624-DEPS (3377)

1 Q. Well, sort of. This morning Ms. Lynch
2 said that she believed that in determining the
3 seasonal differential, that you used certain
4 information from the cost of service study regarding
5 the allocation of -- regarding the allocation of
6 demand related costs by functional category. Was she
7 right? Did you rely on some parts of the cost of
8 service study?

9 A. Yeah. I looked at the production related
10 costs versus -- demand costs versus other demand
11 costs.

12 Q. Are there any other parts of the cost of
13 service study that you used in order to arrive at the
14 seasonal differential?

15 A. In demand?

16 Q. Yes.

17 A. No. It's basically that portion of it.

18 Q. Were there any parts of the cost of
19 service study that you referred to in defining the
20 seasonal differentiation in the energy charge?

21 A. No, because, you know, basically this is
22 not an embedded concept but it's a forward-looking
23 concept, and it's looking at the marginal costs that
24 are in the future, not the costs in the past. I mean,
25 there is a relation between them because, as I

1 mentioned, the peak credit method -- when we changed
2 the peak credit method from 20/80 to 17/83, that changed *alw*
3 the values of this avoided cost numbers, so -- and --
4 so, you know, they're consistent in that when she
5 looks forward she's looking at the same sort of stuff
6 that I'm looking at here but I don't look at embedded
7 numbers, it did not look at embedded numbers when I
8 did this other than the production demand, production
9 related demand.

10 Q. Please turn to page 45 of your testimony,
11 line 21. You're talking about Schedule 29 which is
12 the -- one of the irrigation tariffs. You say the --
13 line 21, existing rate advantage for Schedule 29 is
14 roughly equivalent to the excess over parity which our
15 cost of service study suggests is currently being paid
16 by the general service class. Would you explain that?

17 A. Yes. If you'd look at Exhibit 13 --
18 actually maybe it's better because I didn't look at
19 all those classes, maybe it's better to -- let's see.
20 The testimony on page -- why don't you look at page
21 two of the testimony. The reason I'm doing that is
22 because Exhibit 13 has the three subcategories and
23 actually I looked at the total, but in that you see
24 that the parity ratio for a secondary is 1.25. That
25 means that when Miss Lynch runs her study, that

1 indicates that that class is paying 25 percent more
2 than it should, that it's subsidizing all the
3 other classes, essentially. Well, that means that
4 rate is too high.

5 Now, irrigation is less than that, and
6 it's part of that class, Schedule 29 is part of that
7 class, and has lower rates. Well, the rates that are
8 lower are lower by about 25 percent, and so that would
9 indicate to me that their rates probably are about
10 right, so instead of lowering everybody in that
11 class, including 29, down, I should lower 24, 25 and
12 26 down, but keep 29 about the same, and in fact there
13 was a little bit of differential as I calculated it
14 and it should actually get a little bit of an
15 increase, but essentially what it's saying is as part
16 of that class, class in general is paying more than
17 what it should, 29 is not paying what the rest of the
18 class is, paying about 25 percent less. Well, that
19 probably looks like it's okay.

20 Q. Now, the parity ratio is different for the
21 primary classes.

22 A. That's correct.

23 Q. How does Schedule 35 compare to the other
24 primary customer classes?

25 A. Not so well.

1 Q. Can you explain?

2 A. Well, 35 has had an -- you know, again
3 back with the history of the irrigation, it had a
4 lower rate. It appears to be lower than the class as
5 well. I probably could have increased that rate up
6 substantially. I chose not to at least in my filing
7 because it would be a fairly probably dramatic change.
8 It's a very small account, so there's not a lot of
9 dollars involved, but I don't have the same
10 explanation for that as I did in 29.

11 Q. Now, 29 and 35 are limited to irrigation
12 and drainage pumping, and the eligibility is tied into
13 Bonneville's rate schedules. Is there any reason why
14 those schedules couldn't be -- why Puget's Schedules
15 29 and 35 couldn't be expanded? Is there some reason
16 why it's limited to the same type of customers as
17 Bonneville defines them?

18 A. I guess you could define any customer
19 class that you want to define. I think once you start
20 expanding definitions, then you get sort of away from
21 the original definitions. I would -- I prefer not to
22 have the specific rates for small groups of customers.
23 I probably -- I guess that I would have to -- you
24 know, if I was going to be asked to expand it, I would
25 have to look to make sure that all the characteristics

1 are very close to the same. I would certainly prefer
2 not to expand it. As a matter of fact, these
3 schedules, I'd probably prefer to contract them, but I
4 would definitely prefer not to expand them, but other
5 people can make a case to expand them, I suppose.

6 Q. Well, would you agree that if a group of
7 customers had loads that were similar -- had similar
8 characteristics to the irrigation or drainage pumping
9 customers, that they should fit into the -- these
10 schedules as well?

11 A. Yes. If cost of service was the only
12 criteria for the classification of customers, I
13 suppose I would. I think that -- you know, I'm not
14 sure why BPA identified irrigation specifically. I
15 have a feeling cost of service was one of the
16 justifications but not the only reason, and, you know,
17 there are lots of criteria about whether rates are --
18 you know, in setting rates. Certainly cost of service
19 is a very prime reason in my thinking, but there are
20 other reasons as well.

21 Q. Did you do a -- I think you talked earlier
22 about doing a coincident peak analysis for various
23 customer classes. Did you do a coincident peak
24 analysis for Schedule 35?

25 A. I believe there was one done.

1 Q. Can you refer that to me? Is that in the
2 exhibits or the data requests?

3 A. Yes. It's Exhibit 5. Non-coincident
4 demand factors, is that what you were asking, the
5 non-coincident?

6 Q. Yes. It's Exhibit 5?

7 A. Yeah, CEL-4. It's Miss Lynch's exhibit.
8 I'm not sure that's -- okay. So it's page three, or
9 the third page -- yeah, does say page three, and
10 you'll see that the column headings, there's a
11 coincident demand factor, non-coincident demand
12 factors, and under non-coincident demand factors,
13 there's demand two.

14 Q. What's that mean?

15 A. It's one of the three types of factors
16 that Ms. Lynch uses. Demand two, demand three and
17 demand four. They're different type of coincident
18 demand factors. I think they have to do with whether
19 they're primary or second or general service, and then
20 you'll see, for instance, primary irrigation service
21 would be line ten. That would be Schedule 35, and
22 you'll see in demand two they do get a non-coincident
23 peak allocation of .0003768 percent of all the costs
24 that are allocated under that factor, or their
25 non-coincident peak in kilowatts is 1,507.

1 You'll see in demand three and demand four
2 that under her cost of service study they don't get
3 any allocation.

4 Q. Did you consider this data in arriving at
5 the 50 percent differential and demand charges?

6 A. No. That wasn't -- let's see. Did I
7 consider -- to the extent that this data influences a
8 demand -- the total aggregate demand numbers that I
9 used, yes, I did, but I didn't look at specifically
10 primary or, you know, any of the specific classes like
11 this.

12 Q. In other words, if I understand what
13 you're saying, you used this data in arriving at the
14 50 percent generally, but you didn't apply it to any
15 particular class?

16 A. That is correct.

17 Q. Do you think that you might have arrived
18 at a different differential if you had applied it to
19 specific classes?

20 A. Well, I could, but I think that that would
21 be a misuse of the -- of the magnitude of fuzziness of
22 that number, I guess. In other words, it's a general
23 -- general way to split demand between summer and
24 winter. You could say apply that sort of general
25 concept specifically to any class you wanted to, I

1 guess. I think that that would be -- I would
2 personally not prefer to do that that way. I would
3 think that that would be misconstruing the accuracy of
4 the concept.

5 Q. You mean of the 50 percent differential
6 concept?

7 A. Yes, uh-huh.

8 Q. Back to the definition of October through
9 March, somewhere you said in answer I think to a data
10 request that the company in 1980 changed from some
11 different definition of summer and winter.

12 A. I think that was from no definition of
13 summer and winter. I'm not sure. I remember
14 answering that data request and I think what that said
15 is that in U-7805, which was a generic rate design
16 case that everybody in the state talked about rate
17 design and these issues, that the concept of summer
18 and winter came up then, and that when we applied it
19 -- well, maybe I'd better get the thing because I'm
20 not exactly sure. This precedes me. I think -- let's
21 see. Was that one of your questions? I think it
22 was.

23 Q. Oh, look at the response to SWAP Data
24 Request No. 207.

25 A. Yes. When it says the company established

1 the need for seasonal rates in U-7805, I think what
2 that really -- I don't think there are any actual
3 rates applied then, but the first time they were
4 applied were April -- was Cause U-8010. I don't
5 believe we had rates before that. I think I could
6 check that and correct that if you want me to.

7 Q. I'd appreciate that. Also I guess this is
8 deposition request number five, if you could supply
9 us, if there is any, with the rationale for that
10 decision.

11 MR. TROTTER: What decision?

12 (Deposition Request No. 5.)

13 BY MS. ARNOLD:

14 Q. To define summer as April through
15 September and winter as October through March.

16 A. I did try to research a little bit on
17 that, and it's basically winter is in the wintertime
18 and summer is in the summertime. I think that's the
19 depth of that decision, that it seemed like a good
20 idea to start this thing in October, and, as I
21 indicated, we really haven't revisited it since then,
22 it's just sort of been a tradition and so we
23 really haven't looked at it since then.

24 Q. If the company were presented with data
25 that showed it should be a different definition of

1 summer and winter, would the company consider changing
2 it?

3 A. Are you asking do we ignore any new
4 information? Sure, we would consider changing it. I
5 think we would have to look at it to see if it was a
6 compelling reason to change it because we do have the
7 tradition and now the PRAM cycle is based on these
8 rate changes at this time and all of that.

9 Q. Is there any reason why summer and winter
10 are defined the same for purposes of the demand and
11 the energy charge or again is it just tradition?

12 A. I think tradition is probably the reason.

13 Q. If you would turn to your Exhibit 11, to
14 Schedule 30.

15 MR. TROTTER: What's the exhibit
16 reference?

17 MS. ARNOLD: Exhibit No. 11.

18 THE WITNESS: DWH --

19 MS. ARNOLD: DWH four.

20 MR. TROTTER: That's the final report?

21 MS. ARNOLD: This is the final -- no, I'm
22 sorry. I gave you the wrong -- it's Exhibit No. 12,
23 DWH five. It's the sentence that contains the
24 proposed tariffs.

25 THE WITNESS: Yes.

1 MR. TROTTER: And you're on Schedule 11?

2 MS. ARNOLD: 30.

3 MR. TROTTER: 30?

4 BY MS. ARNOLD:

5 Q. Are the rates on this experimental
6 schedule based on marginal costs?

7 A. Yes. The split -- well -- yes.

8 Q. Looking at the seasonal differentiation on
9 the tail block of the energy charge, the difference,
10 as I calculated it, comes out to about 15 percent. I
11 don't understand why it's 15 percent instead of 10
12 percent.

13 A. That's because the time period that we ran
14 this marginal cost on, these are the actual marginal
15 costs for a certain time period, and that time period
16 was different than the time period that we ran the
17 marginal costs that got the 10 percent differential,
18 and so depending on the time period, you can get a 15
19 percent differential, looking at the avoided cost
20 table. You know, it's a function of the relationship
21 of energy to demand that you assume, and also the
22 number of years that you assume.

23 Q. What's the relationship between energy and
24 demand you just referred to?

25 A. What is that?

1 Q. Yes.

2 A. That would be, you know, the number of
3 kilowatts that you're assuming every month versus the
4 amount of energy, commonly called the load factor.

5 Q. Is there a high degree of correlation
6 there?

7 A. Correlation for --

8 Q. Between the amount of energy and the
9 demand?

10 A. Depends on the use. If you have water
11 heat, you know, demand is fairly stable and energy is
12 fairly stable. If you have space heat, you'd have a
13 lot of demand in the wintertime and not much in the
14 summertime. It depends on the type of load that you'd
15 have.

16 Q. Look at Schedule 46. Well, no, never
17 mind. Strike that.

18 Changing directions here, I would like to
19 ask you some questions about the power factor charge.
20 If you'd turn to page 20 of your testimony, at line
21 12, you say we have incorporated elasticity effects
22 into our calculation of the impact of the proposed
23 power cost adjustment. Would you explain what you
24 meant by that?

25 A. Sure. Maybe it would help if we turned to

1 WICFUR's Request No. 316, because I think I -- maybe
2 I'll explain it just briefly and if you want to get
3 into the details we can do it based on that.

4 Q. Okay.

5 A. But basically what we did is when we
6 changed the way of calculating the power factor effect
7 and going from the KVAR hours that we currently are
8 doing to the new way, it increases the effective rate
9 of having a poor power factor by a factor of about
10 double.

11 Now, being the economist that I am, I
12 think people probably react to that kind of a change,
13 and so what I did was assume that they would react
14 depending on what their power factor was and the size
15 of their load and what it cost them to make the
16 adjustments that would require them to improve their
17 power factor. And so then I just made several
18 assumptions based on that and came to the conclusion
19 that if you just increased that rate -- or increased
20 the power factor just by itself, you would get so much
21 more demand, if you will, or more money, but that
22 because of the reactions of customers to that price
23 change, that that effect would be minimized and in
24 fact you'd only get 75 percent of that effect instead
25 of 100 percent of the effect, and that's what this

1 response to WICFUR 316 tries to walk through is how I
2 did that calculation.

3 Q. Well, I'm not sure I understand that, but
4 I'll leave that for now. Currently -- well, let's
5 take Schedule 31 as an example. Current Schedule 31,
6 and I think the other primary service tariffs,
7 includes a reactive power charge of .025 cents per
8 KVAR hours, is that correct?

9 A. That's correct.

10 Q. Is that KVAR hour charge based on cost of
11 service or what's it based on?

12 A. It's based on the cost of the company
13 correcting for the -- partially for the effects of the
14 power factor. It's based on the cost of capacitors
15 which is how the company does its correction. The
16 reason that we went to change is that's not all of the
17 costs involved in this, and there's -- now, there are
18 ^{all} line ~~costs~~ ^{LOSSES} involved, the fact that we have to have
19 more demand to push the poor power factor through,
20 additional costs that this really isn't fully
21 correcting for, and so we felt that we should make
22 this more consistent with the way we're treating this
23 with the large customers which is where we actually
24 meter KVA or the effective power instead of the
25 kilowatts.

1 Q. Is the new power factor adjustment that
2 the Schedule 31 includes -- actually I guess it's
3 under Schedule 80, is this cost based, and if so,
4 what costs is it based on?

5 A. Yeah, actually, what it does, it
6 essentially changes the denominator, if you will, of
7 the costs. We have certain demand costs. Those costs
8 are what they are. If you're -- you can either divide
9 those by kilowatts or you can divide it by kilowatts
10 that are adjusted for the power factor. And so
11 essentially how this is cost based, it takes the
12 actual cost but it's dividing them by actually a
13 number that's slightly larger than it would be if it
14 were kilowatts because we're measuring the effects of
15 these power factors, so it's something closer to
16 measuring
17 them for KVA which is what we do for our large
18 customers.

19 Q. Now, you mentioned that in your testimony
20 that other utilities in the region also use a power
21 factor adjustment. I think you mentioned Snohomish
22 PUD and Tacoma City Light and some others, but they
23 have a base level of correction that ranges anywhere
24 from 85 percent to 95 percent. Why did Puget choose
25 95 percent instead of 85 or 90 or some other

1 correction?

2 A. Yeah. I think we felt that as long as
3 we're going to correct for it, that 95 was preferred
4 to something that -- you know, basically if you do it
5 at 85 percent, people are getting away with, if you
6 will, or not paying for 15 percent change in the power
7 factor. If it's 95 percent it's only a five percent
8 differential. Well, I don't think anybody suggests
9 that we should go to 100 percent because there is a
10 little slop in there and that would mean that we would
11 be charging a whole lot of customers for just minimal
12 amounts of changes, and also, you know, there are
13 parts of our load that are not demand metered that get
14 a demand charge and so they're -- so we don't think we
15 should go to 100 percent, and I just personally think
16 that as long as we're going to do it we should go to
17 something more than 85 percent. It's a judgment call.

18 Q. That's not a cost based decision, then,
19 it's a judgment based decision?

20 A. It's a judgment based decision based on
21 whether we think that the people who are causing the
22 problem should pay for it or not or only a few
23 percentage of those people that are causing the
24 problem should pay for it.

25 Q. Do you have WICFUR Data Request No. 319

1 there?

2 A. Yes, I do.

3 Q. Now, as I understand this, what this
4 response shows is you're saying that the cost to
5 install capacity -- capacitors near customers with
6 power factor problems is comparable to the additional
7 revenues Puget will collect from its power factor
8 adjustments, is that right?

9 A. That's correct. With the caveats down at
10 the bottom that we really can't do that. I mean,
11 that's not really a viable alternative, but to give it
12 an indication of the relative cost that's appropriate.

13 Q. Would this inability to install capacitors
14 in some areas affect one class of customers more than
15 another, for example, might the Schedule 24 customers
16 be more difficult to install capacitors for?

17 A. I really don't know that.

18 Q. You didn't look into that at all?

19 A. I personally didn't, no.

20 Q. Now, you say I think in this answer that
21 the costs of installing capacitors is about equal to
22 the additional revenues, but it doesn't seem that the
23 revenues -- that the penalties are comparable. For
24 instance, if you look at Schedule 24, the cost to
25 correct are about, what, 72 percent of the cost to

1 Puget, I mean, the customer cost is about 72 percent
2 of Puget's cost, but if you look at 31, Puget's costs
3 are only about a third or so of the cost to the
4 customer.

5 Did you consider how these should be
6 allocated among the different customer classes in an
7 equitable way?

8 A. No, because we don't consider this to be a
9 viable option. I mean, this rate is based on not the
10 cost of correcting the problem with installing
11 capacitors. Again, remember that that's only a
12 portion of the cost to the company. But this rate is
13 based on a -- the cost in general of poor power
14 factors and the relationship of KVA to KW's, and
15 that's a general sort of relationship and that's not
16 specific to exactly who is doing it and all that sort
17 of thing.

18 Q. Well, am I wrong then in looking at these
19 numbers that to say that it looks like the problem is
20 greater for schedule 24 than it is for schedule 31?

21 A. What that says is if we were to have
22 installed capacitors, if we the company were to
23 install capacitors, it would cost us more to do that
24 for Schedule 24 customers than the 31 customers.

25 Q. Cost a lot more?

1 A. I'm not sure that's all the cost of the
2 poor power factors are, though. The loads on 31 are
3 fairly large per customer. There's I square R losses
4 related to that.

5 Q. What are I square R losses?

6 A. Got me. It's the loss associated with
7 forcing the kilowatts through the lines, and with poor
8 power factors you have to put more force behind it and
9 so you have more loss in the line, and so the energy
10 that comes out at the end of the line is less than the
11 energy that you produced at the start, and our costs
12 related to what we generate, what we get out of it is
13 what the customer ends up having, and the more losses,
14 the less the customer is getting.

15 Q. Did you calculate the amount of these
16 other costs other than installing capacitors?

17 A. Well, the engineers who we consulted on
18 this basically have, you know, looked at all that sort
19 of information. As far as recalling a specific dollar
20 amount, I don't recall that I looked at one of those,
21 but, you know, basically when we talked about this,
22 they said, well, this is only part of the costs,
23 there's all these other costs, and they're large, too.

24 Q. Could you supply us with -- are you saying
25 that they know the specific dollar amount, you just

1 didn't see it?

2 A. No, I'm not saying that they know it, I
3 think that they have a concept of it. Whether they've
4 actually converted that to actual dollars or not, I
5 don't know.

6 Q. Well, would you agree that for class --
7 Schedule 31, it would be cheaper for everybody just to
8 install capacitors and not apply this power factor
9 adjustment to their bills? Wouldn't that --

10 A. Well, it would -- if we could, again,
11 given the caveats, install the capacitors and my
12 understanding is that that doesn't solve all of our --
13 all of our questions, all this says is that the cost
14 of us to installing the capacitors is less than what
15 we're charging the customer in the bills.

16 Now, the customer -- I don't know what
17 it's going to cost the customer. May cost the
18 customer half of what it costs us and could be it's
19 even a lot less expensive and could be this is a
20 completely avoidable cost. This is not like regular
21 energy costs because the customer can do something to
22 avoid it. They can install their capacitors.

23 Q. Well --

24 A. And I don't know what that cost is.

25 Q. Would you say installing a capacitor is

1 about \$1,600?

2 A. Well, that's from what I understand is on
3 our system and I don't know on the customer's side
4 what those costs are. I really don't know. I mean,
5 it could be that it's exactly the same.

6 Q. Seems as if it might be cheaper for a
7 customer just to pay for the cost of installing a
8 capacitor rather than pay this power factor
9 adjustment. Would you agree?

10 A. Yes.

11 MR. TROTTER: Is this an appropriate time
12 for a break?

13 MS. ARNOLD: I think I've got -- I think
14 I've got just one more question. Yeah, let's go
15 ahead and take a break.

16 (Short recess.)

17 BY MS. ARNOLD:

18 Q. Mr. Hoff, turning to page 61, please, of
19 your testimony. At lines 11 and 12, you're discussing
20 the 100 percent ratchet mechanism in Schedule 49, and
21 you say that it provides a substantial incentive for
22 customers to reduce winter peak loads. Would you
23 explain that?

24 A. Well, I tried to explain it in the
25 testimony, but basically what a ratchet does is makes

1 you pay -- makes you pay 12 times whatever the peak
2 period is, the peak load is for that peak hour,
3 essentially. That's a very substantial cost, if you
4 will, and if you had set that peak in the summertime,
5 or a period outside of when the ratchet is in effect,
6 you only pay one month's time to set that cost, and
7 the example I give here, say you have \$2.80 demand
8 charge, and you set it during the winter period, that
9 is your peak. Year round you have to pay 12 times
10 that \$2.80, so it costs you actually \$33.60. In
11 essence you're paying \$33.60 and then all the rest of
12 your demands are free for the rest of the year,
13 because they're not up to that peak hour through the
14 definition of peak.

15 If on the other hand you had set that at
16 the summertime, you only pay that \$2.80 for one month
17 because it's not ratcheted for the 12-month period,
18 and so the relative cost of setting a peak demand in
19 summer versus winter is dramatically different than
20 Schedule 49. In one case you say you have to pay
21 it for that month plus another 11 months, but if you
22 set it in the summertime, you only have to pay it for
23 that month.

24 Q. So you're saying that setting the demand
25 -- setting the minimum in the winter is the sensitive

1 for reducing the peak load in the winter?

2 A. Yes.

3 Q. Because that ratchets it down for the rest
4 of the year, is that what you're saying?

5 A. Having the ratchet period set in the
6 summer then is an incentive to try to keep that demand
7 off the winter, in the winter period.

8 Q. Why is it that Schedule 31 has only a 60
9 percent ratchet?

10 A. It's because when -- I wasn't involved
11 when they actually implemented this ratcheting, but
12 they felt that the magnitude of that differential --
13 it's fairly severe, and I guess they wanted to
14 mitigate the effects of it.

15 Q. On the next page, on page 62, in the top
16 question, you talk about the allocation of PRAM
17 revenues, and you say that the company proposes to
18 allocate the PRAM revenues as was approved in the
19 decoupling proceeding which I understand is, in other
20 words, you're going to allocate the PRAM revenues in
21 the manner approved by the Commission in the '89 rate
22 case or '88 rate case.

23 A. No, the PRAM case is ~~U-89811-T~~. *UE-901183-T allh*

24 Q. I know that, but doesn't the decoupling
25 proceeding say that the PRAM revenues would be

1 allocated as they were in the '88 rate case?

2 A. It's used -- this is a little bit
3 confusing. It uses factors that come from the '88
4 case, so that's what's the basis of the '88 case. The
5 '90 proceeding established a way of allocating the
6 PRAM revenues that picks up factors that were
7 determined in the '88 case, so, you know, it does tie
8 to both of those orders essentially.

9 Q. Well, if there is an order in this case,
10 in the rate design case, why would those factors be
11 used to allocate the PRAM revenues?

12 A. When I say that, though, done in a manner
13 similar to the way we're doing it, what I mean is that
14 this case will establish those new factors. These are
15 allocation factors for demand and energy and those
16 sorts of things. We would use -- if we had another
17 general rate case, we would use those factors to
18 allocate PRAM in the future, but not until we have
19 another general rate case.

20 Q. That's my question. Assuming that an
21 order comes out of the rate design case prior to an
22 order in the next general rate case, which might not
23 be until 1994, why not use the allocation factors that
24 are approved in this case to allocate --

25 A. We're not asking for approval of any

1 allocation factors. All the factors that we're using
2 go back to that original case.

3 Q. Okay. That's all my questions.

4 A. Thank you.

5

6

E X A M I N A T I O N

7 BY MR. ADAMS:

8 Q. Good afternoon, Mr. Hoff. I'm going to
9 ask you sort of a bunch of questions because some of
10 them have already been covered by other parties here.
11 First off, I want to start off with a question that
12 was deferred to you. Referring to Exhibit 5, do you
13 have Ms. Lynch's exhibits?

14 A. Yes.

15 Q. Pages one and two, could you explain what
16 discount rate was used and if it's not the net of
17 tax cost of capital, explain why that discount rate
18 was used?

19 A. Okay. First of all I think it helps to go
20 to WICFUR 305 because that explains most of this stuff,
21 and WICFUR 305 after the first two pages, you'll see a
22 page that is basically this document. Then the next
23 page talks about where we get some of the assumptions.

24 Q. Could you slow down a moment?

25 A. Yeah.

1 Q. Okay. Go ahead.

2 A. So now we're on 305.

3 Q. Page --

4 A. And let's look at page three and you'll
5 see that that's the same as CEL page one, or Exhibit
6 5, page one, and then page two was the same as Exhibit
7 5, page two.

8 Q. Wait, wait, wait, wait. When you say page
9 numbers, there's a page up on the top and there's a
10 page number at the bottom. Which one are we talking
11 about?

12 A. Yeah, I'm sorry. Where it says on the top
13 WICFUR 305, page three.

14 Q. Okay.

15 A. That is CEL -- that is Exhibit 5, page
16 one.

17 Q. Okay.

18 A. I'm just tying it in so that -- and then
19 the next page is Exhibit 5, page two. Okay?

20 Q. Yes.

21 A. So this basically is the basis for this,
22 and then this exhibit, this data request tries to
23 explain all of the points, and if you look at the next
24 page, which is WICFUR 305, page five, attachment one,
25 this is out of our least cost plan, integrated

1 resource plan, 92, 93, it's appendix E, page five. In
2 that -- that shows two of the basic -- several of the
3 basic assumptions. If you look at resource number
4 three, and you read across there, it's a combustion
5 turbine combined cycle cogen, capacity factor of 80
6 percent, capital costs of \$670 a kilowatt, and fixed
7 charge rate of 13.2 percent.

8 Q. Yes.

9 A. Okay. Then you go down with the asterisks
10 and the fixed charge rate and it defines what we use
11 in that fixed charge rate, and so that's a fixed
12 charge rate and then if you want to have some further
13 discussions or further explanation of that, in the
14 integrated resource plan on pages -- again, this is in
15 the appendixes, appendix H, page 20, you'll see a --
16 there's a 30-year -- under -- oh, you don't have that,
17 I don't think, but you'll be able to find that there's
18 a 13.16 levelizing rate that is used on a 30-year.
19 They be on page H-21, you'll find some depreciation
20 information, and on page H-22, you'll find the
21 weighted costs of capital at 10.41, which is what
22 was used in that case in the medium scenario.

23 Q. So what's the discount rate?

24 A. 10.41.

25 Q. So am I correct that it's not a net of tax

1 cost of capital?

2 A. I always get confused what net of tax
3 really means. It does include the effect of property
4 -- of federal income taxes.

5 Q. You say it does include, does or does not?

6 A. Well, according to the footnote, the fixed
7 charge rate, which is consistent with that rate,
8 equals the present value of the fixed costs of an
9 asset, depreciation or amortized, cost of money,
10 property tax, federal income taxes and insurance, so
11 supposedly that includes federal income tax, so unless
12 I -- I believe it includes federal income tax.

13 Q. Does that include the effect of the
14 deductibility of those taxes, those federal income
15 taxes?

16 A. Effect of the deductibility? Actually
17 I'm not sure. I think not, but I'm not sure.

18 Q. Can we just leave it at the status of the
19 record that it does not, but if you are able to check
20 and find it does in fact, it's the opposite, if you'd
21 let us know?

22 A. Yes.

23 Q. Let's turn to your testimony for a moment,
24 page three, and I wanted to ask you a similar question
25 to one we asked Mr. Knutsen. You list five factors

1 there at the bottom of page five over to the top of --
2 excuse me, the bottom of page three over to the top of
3 page four.

4 A. This is Mr. Knutsen's testimony?

5 Q. No, this is your testimony, T-8.

6 A. Oh, okay.

7 Q. And are those five factors that you list,
8 are those listed in the order of importance?

9 A. No.

10 Q. Are you able to tell us what kind of
11 weight you gave to those various factors in terms of
12 priority?

13 A. No. Just tried to balance them without
14 assigning weight, I probably ended up in my own mind
15 assigning some weight somehow, but tried to balance
16 them without assigning weight.

17 Q. So at least you consciously didn't give
18 any particular weights to given categories?

19 A. That's correct.

20 Q. How did you decide how far to move rates
21 for each class, for each class towards the results of
22 your cost of service study?

23 A. It was in the interest of -- you know,
24 you're balancing here trying to move to what you
25 believe is right with the interest of gradualism and,

1 you know, we talked a little bit about the economic
2 effects these changes might have on companies and
3 those sorts of things. It's purely a judgment call
4 that says that I don't want to go 100 percent, I
5 certainly don't want to go zero percent, so I'll pick
6 a third.

7 Q. Apparently you made the decision though
8 also that that one-third ought to apply to all
9 schedules that needed changes rather than individual
10 schedules?

11 A. In the general categories, yes.

12 Q. Did you consider either differential
13 growth rates between classes or differential risks of
14 different classes in your rate spread proposals?

15 A. No, I did not.

16 Q. If you would look at page 19, lines ten
17 through 14, dealing with residential rates, there you
18 indicate that space heat customers do not need a
19 marginal cost price signal. Do you see that?

20 A. Yes.

21 Q. Do you agree that space heat usage has a
22 lower load factor and therefore a higher cost to serve
23 KWH than residential water heat or appliance usage?

24 A. Yes.

25 Q. But it is your position that six cents is

1 enough at that price these customers have all the
2 incentive they need to either participate in
3 weatherization programs or switch to gas?

4 A. I think that the decision is a little bit
5 broader than just that they have enough, you know,
6 incentive they need. I do think that, for instance,
7 with the relationship to gas, the magnitude of that
8 differential is so great, that adding even another
9 penny to the price of electricity is probably just
10 overkill because there's already a big differential.
11 I think what I was basically trying to look at --
12 well, plus we have our conservation programs that are
13 pretty well subscribed and we don't need additional
14 incentive there, and what I was really looking at is
15 what is most of the usage, and most of the usage
16 either is water heat or looks like water heat, and of
17 course everything is at the margin. It's not just the
18 biggest stuff that's at the margin, everything is at
19 the margin. Over 80 percent of our customers have
20 water heat. A lot of the other loads look a lot
21 like water heat so it made a lot more sense to target
22 something that looked like at the water heat load than
23 at the space heat load.

24 Q. Did Puget consider requiring customers who
25 participate in weatherization and then switch fuels to

1 repay a portion of their grant?

2 A. Actually I think that part of our contract
3 that we have with the customers does require them to
4 pay if they do it within a certain time period, but
5 that was not a rate design consideration. To me
6 that's more of a -- you know, the conservation
7 program type consideration.

8 Q. So that's not part of any proposal made in
9 this proceeding?

10 A. That's not part of the proposal here, no.

11 Q. Could you update us on the status of the
12 incandescent and mercury vapor street lighting
13 programs? I believe that the company indicated in
14 the collaborative that it would finish converting
15 these incandescent lights -- and mercury vapor
16 lighting, to convert them rather than have a penalty
17 rate applied to those customers.

18 A. It's my understanding as far as the
19 company program that we're on track to have that done
20 by the end of the year, that I was just informed
21 a while ago that that is moving and on a track to be
22 done by the end of the year.

23 Q. So basically then the company doesn't view
24 there's any need for a rate design to address that
25 issue, is that correct?

1 A. That's correct.

2 Q. I want to just sort of ask some very
3 general questions. Throughout the questioning today,
4 I think the terms "forward looking" and "marginal
5 costs" have been used, and frankly I've gotten very
6 confused as to what it is we're talking about when
7 we're using those terms. Also there's the company's
8 avoided cost filing that it currently has in effect.
9 What -- which one of these terms are you using in
10 designing your rates, and at what level are you using
11 it? What is the dollar or cents per kilowatt hour
12 rate that you are using?

13 A. Okay. I think we used all three terms
14 various ways. Maybe I can help try to define a little
15 bit. Marginal cost is a theoretical concept so it
16 doesn't really have an actual value, and when you
17 start assigning it a value then it generally becomes
18 something else. So I would say marginal cost, when
19 I'm talking about marginal cost, I am talking about a
20 theoretical concept in the manner that Kahn does when
21 I quote him in the testimony, as the cost of the
22 incremental unit, the last unit. So to translate that
23 to specifics, I have used the avoided cost filing to
24 establish the tail block of the residential rate and
25 of the two optional rates of primary and high voltage.

1 So that marginal cost, if you will, is actually the
2 avoided cost filing for those at certain -- with
3 certain assumptions made.

4 Q. Could you give us the rates? I mean, is
5 this by way of the most current in effect?

6 A. Yeah, those rates -- well, it's
7 interesting because the rate -- like the residential
8 rate itself is not the marginal cost rate itself
9 because it's -- we wanted the marginal cost to be what
10 that avoided cost is net of the other two riders.
11 There's the schedule 100 PRAM rider and there's the
12 Schedule 94 residential exchange rider and so the rate
13 itself that we're charging is the rate that's the tail
14 block rate that's the summer rate and the winter rate
15 and is 5.535 cents per kilowatt hour in the summertime
16 and 6.096 cents per kilowatt hour in the wintertime.
17 Now, again, that's not exactly the marginal cost and
18 if I could find the right --

19 Q. While you're looking, Mr. Hoff, is that a
20 12-year rate?

21 A. That essentially is the levelized 12-year
22 -- what it is is the avoided costs for a load that is
23 similar to a residential water heat load for 12 years.
24 What I'm looking for is something that -- there is a
25 data request that actually specifies -- shows the

1 calculation of that and shows how it is net of those
2 other two. This would be in Record Request No. 6
3 from staff.

4 Q. You used record request but this is staff
5 data request.

6 A. I'm sorry. No. 6 from staff, and you'll
7 see -- well, you don't need to have it in front of
8 you, but basically that shows that the winter avoided
9 cost from the calculation that I said is 5.7496, from
10 that you subtract the PRAM one rate of .2508, add
11 *all* ~~6494.57~~ ^{Schedule 94 rate of .5700} to get what the actual rate is of 6.0688, so
12 the avoided cost for this residential water heat
13 customer is 5.7496 in wintertime and 5.2038 in the
14 summertime.

15 Q. Looking at that data request, under the
16 categories winter energy and summer energy, are those
17 figures, the data -- are those the avoided cost the
18 company has filed?

19 A. Yes.

20 Q. Okay.

21 A. No, excuse me. Did you say avoided costs
22 it's filed?

23 Q. Yes.

24 A. These were adjusted because of the change
25 in the peak credit method to reflect the change of 17

1 percent of the cost being demand instead of 20
2 percent. The avoided cost filing was based on
3 assumption that 80 percent of these costs would be
4 energy and 20 percent demand, so we took that same
5 basic information and reran it with a peak credit of
6 *all* 17/83, so it's the same basic information with that one
7 change in assumption.

8 Q. Are there any transmission or distribution
9 costs reflected in those numbers?

10 A. No.

11 Q. How about transmission or distribution
12 losses, are they reflected in those numbers? If you
13 want to go off the record and just get an answer, feel
14 free.

15 A. Okay. Just a second. Is it yes? We've
16 got an answer. Yes.

17 Q. Could you please then provide the work
18 papers that reflect those calculations?

19 A. Sure.

20 Q. I guess that would be Deposition Request
21 6. If you have a broader work paper that reflects all
22 of that, that's fine, too. I didn't know what you
23 specifically had.

24 A. Okay.

25 (Deposition Request No. 6.)

1 Q. Mr. Hoff, you talked -- you gave us these
2 costs in respect to the residential rate design. Were
3 these avoided costs used for any other -- calculation
4 of any of the other rate schedules?

5 A. They're used in a general sense to -- they
6 were used to establish the energy differential of 10
7 percent, and so in that aspect, information from this
8 is used in all the other schedules, all the other
9 energy schedules, because they all have a ten percent
10 differential.

11 Q. That's just the winter, summer
12 differential?

13 A. Right.

14 Q. Okay.

15 A. Then this information was also used to
16 establish the tail block of the optional rates for the
17 primary and high voltage optional rate.

18 Q. I believe that there was some questioning
19 earlier that indicated that actually some of the
20 resources, the newly acquired resources actually has
21 come in below your avoided cost figures, correct?

22 A. That's what Mr. Knutsen said.

23 Q. Right. But, in other words, you applied
24 your straight filed avoided cost figures?

25 A. Yeah, we did not adjust it at all for

1 that.

2 Q. Now, were these avoided costs also used as
3 part of the peak credit method, methodology that you
4 have applied here?

5 A. They weren't used directly. The resources
6 that -- there was a combined cycle CT that is the
7 resource of the third stage of this avoided cost
8 filing. There's a combined cycle CT that's used in
9 the calculation of the peak credit method, so they're
10 related, but they're not exactly the same number.

11 Q. Why would you have different numbers if
12 you used combined cycle CT in both instances? Why
13 wouldn't you have --

14 A. Well, maybe I misspoke. I think as far as
15 the -- see, the CT was -- that we used in the peak
16 credit was out of the integrated resource plan. I
17 believe that that's the same costs that they used in
18 the -- in the avoided cost filing, but since -- I'm
19 not exactly sure of that because power supply does
20 that calculation and they have that -- I know that
21 avoided cost filing is part of this other process. We
22 went specifically into the least cost plan to pick out
23 the price of the CT. As far as I know, they're at
24 least consistent if not identical.

25 Q. Again, let us assume that in fact they are

1 the same numbers but if you are able to check and find
2 out they are not, please notify us.

3 A. Okay.

4 Q. Moving to another area, there's been quite
5 a bit of discussion concerning Schedule 29 and 35, and
6 I want to sort of step back from the rate design
7 process for a moment and ask you a couple of questions
8 that relate to those schedules in the current PRAM.
9 Am I correct that as the PRAM is currently filed,
10 there would be no additional costs put on Schedule 29?

11 A. That's correct.

12 Q. What about Schedule 35?

13 A. Same.

14 Q. And could you give us the reason why that
15 is?

16 A. Well, it's because there wasn't any
17 increase allocated to that in the last general rate
18 case. When we went into PRAM, we looked at the
19 allocation factors, picked them up out of that case.
20 There was a zero allocation factor and so we applied
21 it. When we applied that process, they didn't get any
22 change, and so it's sort of a mechanical reason that
23 they didn't get it, because they didn't have any
24 increase out of the '88 case.

25 Q. But in terms of the rationale for the

1 increase in the PRAM, those schedules should
2 reflect the same increases as all the other schedules,
3 shouldn't they?

4 A. That's why we're proposing to change that
5 in this case, so that -- what I'm talking about in
6 this case about the effects of future PRAMs and how we
7 would propose to change, that one of the changes is we
8 would put this cost back in to apply this to all the
9 schedules and not leave out irrigation.

10 Q. This is a suggestion how to deal with
11 Schedules 29 and 35 in the context of the PRAM in the
12 rate design proceeding?

13 A. Yeah. At the end of my testimony, there
14 is a brief discussion about -- I guess I'd better turn
15 to mine. Page 62. Allocation of PRAM revenues,
16 and it was sort of meant to be a general discussion --
17 you know, I think we think that the allocation of PRAM
18 revenues is a part of this case, it's appropriately
19 part of this case, not of the existing PRAM revenues,
20 but the PRAM revenues that would come after the next
21 general case or -- and we felt that we should address
22 that. In our look at it, we thought that the existing
23 allocation of those revenues was okay with the
24 exception of irrigation customers should get an
25 increase to those, and then also the allocation of the

1 increase to the residential sector should go first to
2 the tail block, if there is a new marginal cost, until
3 it goes to the marginal cost, and then gets spread
4 also there.

5 Q. Am I correct then that the company at this
6 juncture does not intend to, if you will, amend or
7 whatever the word is, their current PRAM figures so
8 that those customer classes receive a portion of the
9 increase that the company is currently requesting in
10 the PRAM?

11 A. That's correct. That's not part of the
12 PRAM case. It's part of this case.

13 Q. If we look at a scenario where the company
14 does not file a general rate case this year, and so we
15 have another year, probably '94, before the results of
16 the general rate case are in, what recommendation in
17 terms of the application of the PRAM three would you
18 be making in this case, because we may have two years
19 before we look at the whole issue of a general rate
20 case and the interrelationships with the PRAM?

21 A. Well, you know, I suppose there's a
22 possibility that this case could reach some
23 conclusions prior to our filing PRAM three next
24 summer, and if it did, we could include a change to
25 the methodology of allocating the PRAM revenues in

1 that PRAM filing, which, you know, we decided not to
2 file a general rate case and so it was another year
3 and we didn't want to wait that long to do this. But
4 if this case was on its existing track which would
5 have an order -- could have an order in March of
6 this year, we could have something that then would
7 tell us what to do in the PRAM filing for the
8 allocation of the PRAM revenues, which then would be
9 filed in June or effective in October.

10 Q. I was thinking more in terms of those two
11 schedules, 29 and 35 as opposed to necessarily all of
12 the results of the rate design case.

13 A. Uh-huh. Right. Well, I mean, the
14 Commission could order us to do -- whenever it got an
15 order, it could order us to implement it. That order
16 could be implemented, in my mind, when we file the
17 PRAM or even before we actually get the PRAM order
18 if they wanted to.

19 Q. Okay. Could you update us briefly on what
20 the changes from the existing to the proposed rate
21 design is for each of those two schedules, that is,
22 Schedules 29 and 35? What are the specific
23 changes that you are making to those two schedules?

24 A. Sure. You would see that as far as the
25 rates go, and the easiest place would be to look in

1 the revised Exhibit 14, those pages 17 and 18, that I
2 referred to earlier. Page 17 of -- are you there?

3 Q. Yes.

4 A. Okay. If you look on Schedule 29 -- oh,
5 excuse me. That doesn't have the existing, does it.

6 Q. No. Take a look at page 14.

7 A. Okay. This would be a comparison. Thank
8 you. Page 14 would have the present rates and the
9 proposed rates and so you could look through there to
10 see the differences. The magnitude of the differences
11 is not very large.

12 Q. Well, am I correct -- referring now to
13 Schedule 29, am I correct that there is a substantial
14 increase to the winter demand charge?

15 A. Yes, that is correct.

16 Q. What portion of kilowatt hours that are
17 sold under Schedule 29 occur in the winter?

18 A. Very small proportion.

19 Q. When you say very small, can you give me a
20 closer number than that?

21 A. Will you give me a second?

22 Q. Sure. And could you tell me what document
23 you're referring to?

24 A. These would be the rate design work papers
25 which is not an exhibit but you probably have -- I

1 don't know if you have them in front of you, but
2 basically --

3 Q. Probably not.

4 A. Okay. Let me do a quick calculation here.
5 There is 5,018 kilowatts of demand in the wintertime,
6 and 10,954 in the summer, was the Schedule 29.

7 Q. So you have about a third of your usage
8 outside of your summer period?

9 A. It appears that way, yes.

10 Q. Okay. Going now to your summer rates, am
11 I correct the demand charge pretty much stays the
12 same, but there's a small increase in your energy
13 charge for that schedule?

14 A. Yes, that's correct.

15 Q. How about for Schedule 35? I don't find
16 that in here.

17 A. I don't find it in here, either. I can
18 tell you what it is from some other -- if you would
19 like, why don't you turn to Exhibit 14 again, on page
20 31 -- page 17 -- excuse me, page -- that's not there
21 either. There it is.

22 Q. At the bottom of page 17?

23 A. Bottom of page 17, and I'll give you what
24 the comparable rates were as far as what the existing
25 rates are.

1 Q. Okay. By the way, when you say -- we're
2 comparing them with the revised, correct, you're going
3 to give us the current as compared with the revised?

4 A. Yeah. Well, I guess I won't either.
5 Okay. So the revised demand charge on 35 is \$105.
6 Existing demand charge is \$48.55.

7 Q. You're giving us the customer charge, is
8 that correct?

9 A. Customer charge, right.

10 Q. Okay. \$48?

11 A. And 55 cents.

12 Q. Okay.

13 A. The existing October to March kilowatt
14 demand charge is \$5.41 -- excuse me. The proposed is
15 \$5.41. The existing is \$4.02. The April to September
16 kilowatt demand charge is \$1.56, as proposed. The
17 current is the same, \$1.56. The energy charge for
18 October to March, all kilowatt hours proposed is 2.827
19 cents. The existing is 2.6198 cents per kilowatt
20 hour, and the April to September energy charge
21 proposed is 2.070 cents and existing is 2.1198
22 cents per kilowatt hour.

23 Q. So you've actually decreased the summer
24 energy rate for that class, that customer group?

25 A. Yes.

1 Q. And you've left the demand for that same
2 period, the summer period, the same?

3 A. Yes.

4 Q. So effectively that customer group is
5 seeing a decrease in its summer rates which is the
6 time most customers are on that system?

7 A. Except that the basic charge went from
8 \$48.55 to a dollar -- \$105.

9 Q. That customer class also takes advantage
10 of Bonneville credit, does it not?

11 A. Yes.

12 Q. You passed that through?

13 A. Yes.

14 Q. And that's true also for Schedule 29, is
15 it not?

16 A. Correct.

17 Q. Okay. Do you know the amount of that
18 credit currently?

19 A. No, I don't.

20 Q. To speed it along, maybe you could just
21 provide it to us.

22 A. Sure.

23 Q. As a deposition request.

24 A. So you want the amount of the credit and a
25 kilowatt -- what it actually was last year or on a

1 rate basis?

2 Q. When you say last year, there's one
3 currently in effect for the summer months, I believe.

4 A. Just what the rate is. Sure. I'll get
5 that.

6 Q. I don't know whether that's the same for
7 the two schedules or not, but --

8 A. We'll provide it for both.

9 Q. And could we also as part of that, and if
10 you can direct me to a work paper or something that
11 has that information on it, I'd like to see usage for
12 each one of those classes that is Schedule 21 and 35
13 by month.

14 A. Usage by month?

15 Q. By month.

16 A. For the whole class?

17 Q. Yes.

18 A. I'd have to get that. That's not in the
19 work papers.

20 Q. If you could just make that all part of
21 Deposition Request 7.

22 A. Okay.

23 (Deposition Request No. 7.)

24 Q. Are you up with me and I'll shift gears on
25 you?

1 A. Well, I don't know if I'm up with you
2 shifting gears, but --

3 Q. Okay. Would you refer to your schedule --
4 excuse me, your Exhibit 12, Schedule 6? This is the
5 residential interruptible water heat credit. And if
6 you'd look under availability at the number two, says
7 service under this schedule allows for interruption of
8 a customer's hot water heating equipment rated at 7600
9 water or greater.

10 A. Yes.

11 Q. Is that number a typographical error?

12 A. I don't think so.

13 Q. Or phrased a different way, would any of
14 your residential customers qualify at that level?

15 A. I hope so. It's meant to be the combined
16 -- it's meant to be a normal water heater, not an
17 ^{all} ~~incinerator~~ ^{in-sink-erator} type water heater and those types of
18 things. If somehow we've messed this up, it's
19 supposed to be the combined wattage, not just the
20 wattage that's on when the -- I mean, most of these
21 things have two elements and only one of the elements
22 can actually be on, it's the wattage of both of those
23 elements, not just one of them.

24 Q. That was our concern, if the normal
25 residential water heater I think would be around 3800

1 -- two 3800 watt elements.

2 A. Right.

3 Q. Of which only one could be on at a time,
4 and the way that tariff is written, it would appear
5 that there might be a confusion as to, you know, what
6 the qualifying level was, and do I gather that you
7 really are talking in terms of someone who has a
8 double 3800 watt element water heater would be
9 eligible, is that correct?

10 A. Would be eligible, and if that's not clear
11 enough, if you want to suggest something or make it
12 clearer, we'll be glad to change that.

13 Q. We just want to be sure we were on the
14 same understanding of what it was intended to address.

15 A. Right.

16 Q. Would you now look at Schedule 43, Primary
17 Schools. Again, holding your hand there, but also
18 looking at your revised -- I think it's your Exhibit
19 14, is that correct, DWH 7, page 18?

20 A. Okay.

21 Q. Now, am I correct that you're actually
22 lowering the demand charge, the winter demand charge
23 for that group of customers?

24 A. I have it as an increase of the demand
25 charge for wintertime and a lowering for summertime.

1 Q. Compared first of all to your filed and
2 revised, you've lowered it, correct?

3 A. That's probably -- yes, we did. Oh.

4 Q. Well, there appear to be several things
5 going on which we want to ask you about. It appears
6 that you've lowered the winter, and basically
7 eliminated seasonality, so that your winter and summer
8 demand charges are the same.

9 A. Yes.

10 Q. Was that your intent?

11 A. Yeah, I think what we did with that
12 schedule, because we are also closing it out, is we
13 just kept it basically consistent with the existing
14 schedule which doesn't have any differential, so
15 instead of trying to apply a differential to it, we
16 just kept the existing one.

17 Q. What is the current demand for winter --

18 A. \$3.16 per kilowatt.

19 Q. For both summer and winter?

20 A. For both summer and winter, correct.

21 Q. So are you saying there is a small
22 increase in that one?

23 A. Just a small increase, that's correct.

24 Q. And there is no winter differential
25 currently and there's no winter differential in the

1 demand charge proposed, is that correct?

2 A. That's correct.

3 Q. What is the current energy charge for
4 summer and winter?

5 A. The current energy charge for October
6 through March is 2.8840 per kilowatt hour.

7 Q. I'm sorry, again, 2.8 --

8 A. 8840.

9 Q. Okay.

10 A. And summer is 2.7467.

11 Q. So you were lowering the energy charge for
12 both seasons to that customer group as well?

13 A. That's correct. The overall increase to
14 the class -- to that schedule was the same as the rest
15 of the prime areas, which was like less than 2
16 percent. We had a fairly significant increase in the
17 basic charge. It went from 63.50 to \$105. Then we
18 wanted to increase the demand charge and what was left
19 over was the energy charge which then went down.

20 Q. Now, did I understand you to say that you
21 have frozen that schedule?

22 A. Yes.

23 Q. Now, when you say freeze that particular
24 schedule, that means any particular customer who was
25 on that schedule can remain on that schedule, what,

1 for as long as that customer continues to take power?

2 A. Until we change the schedule.

3 Q. Am I correct that at least looking at
4 Exhibit 4, page three, that the rate of return under
5 your cost study, or that particular category, is the
6 lowest rate of return for any customer group?

7 It's shown as 1.1 percent.

8 A. That's ^{WHY all} ~~where~~ we want to eliminate the
9 schedule.

10 Q. But you're not eliminating it, but you --

11 A. That's correct. And that is under the
12 philosophy of, you know, not making dramatic changes
13 and, you know, these schools have been schools for a
14 long time and have sort of counted on this, and to
15 dramatically change their schedules on them would have
16 an impact that I'm not sure we all want them to have.

17 Q. Would it be a fair statement to say that
18 part of the reason that they're getting this treatment
19 is because they're schools?

20 A. Yes.

21 Q. Going back to the revised Exhibit 12, page
22 18? There is a schedule that's new to us. Go ahead
23 and let me know when you've got that page.

24 MR. TROTTER: I think you've got the wrong
25 exhibit.

1 MR. ADAMS: 14, I'm sorry.

2 MR. TROTTER: Page 18?

3 MR. ADAMS: Yes, the last page of the
4 revised.

5 BY MR. ADAMS:

6 Q. Okay. Between Schedule 43 which you were
7 just referring to and Schedule 46, high voltage
8 general, there's a category called primary general
9 service schedule 001. What is that schedule?

10 A. Says, "City of Sumas has a long-term
11 contract with us, a 20 year contract."

12 Q. This is a municipal utility, is that
13 correct?

14 A. Yeah, I'm not sure. It's not a resale
15 type arrangement. It's for -- I'm not sure exactly
16 the details of it, but it's just one contract that's
17 part of the schedule.

18 Q. And can you give us a little background on
19 that schedule? How long has it existed or how long
20 has the contract been in effect?

21 A. No, I can't. I could provide it to you.

22 Q. Okay. If you could provide us the
23 information -- before we go to that status, is this
24 contract being changed? In other words, are there
25 any rates being changed as to this contract?

1 A. The rate in the contract is being changed,
2 yes.

3 Q. And that's pursuant to the cost of service
4 study or to the terms of the contract?

5 A. I mean, I think that the terms of the
6 contract -- well, let me check. Just a second. Yeah.
7 They allow us to make changes in the rate. It's just
8 that it's under a special schedule and we can still
9 make changes to the rate.

10 Q. The question comes to mind and again maybe
11 this is something you can't answer currently, but why
12 on earth are they not buying as a preference customer
13 from Bonneville at a lower rate?

14 A. I really don't know.

15 Q. Could we provide that as deposition
16 request number eight, a copy of the contract and, you
17 know, basically a brief narrative of the history of
18 this contract?

19 A. Sure.

20 (Deposition Request No. 8.)

21 Q. Would you look at your Exhibit 13?
22 Looking down the column one at the costs that are
23 basically demand costs at lines 12 through 17, are the
24 calculations of demand cost shown here based on
25 embedded costs or are they forward-looking costs?

1 A. Well, the demand costs -- these come from
2 the cost of service model, so that it's whatever the
3 allocators are used there. Of course, the peak credit
4 method is used to allocate production costs. The peak
5 credit method is forward looking, so therefore I guess
6 the costs resulting from that would be forward
7 looking. There are other demand costs that are not
8 involved with peak credit method that are probably not
9 forward looking. It's really a cost of service
10 question.

11 Q. Would you not agree that the vast majority
12 of the demand costs are not involved in the peak
13 credit methodology?

14 A. I don't know if it's the vast majority.
15 There are a lot of other costs that are not involved
16 with peak credit.

17 Q. The transmission and distribution costs
18 are not included, are they?

19 A. The generation related transmission are.
20 The non-generation related and distribution are not.

21 Q. Am I not correct that these demand costs
22 shown here are embedded costs?

23 A. Well, again, the total costs are all
24 embedded costs. The allocation of the costs between
25 demand and energy, et cetera, to the extent that they

1 use this forward looking allocation factor would not
2 be, in my mind, embedded in the same sense. We're
3 getting a problem of semantics I think here.

4 Q. Am I correct that these costs shown here
5 are the basis for the proposed increases to Schedules
6 31 and 49 for the demand charges 31 and 49, and the
7 decrease to the Schedule 31 energy charges?

8 A. Yes. It's these costs that I used to
9 calculate demand charges -- changes, and then, you
10 know, what's left over has to be -- affect the energy,
11 so, yes, I think that's true.

12 Q. In your response to this and perhaps to
13 changes in other areas where they relate to your
14 demand charges, do you start with your demand costs
15 and then use energy charges as the residual?

16 A. That's correct, and we have demand and
17 customer because there's three components, the demand
18 and then the basic charge and then the energy as a
19 residual.

20 Q. So you do demand first and then you take
21 out customer and then you're left with the residual,
22 is that correct?

23 A. Yes.

24 Q. Thanks. That's all I have.

25 MR. TROTTER: That's it.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. VAN NOSTRAND: No redirect.
(Deposition concluded at 4:00 p.m.)

C E R T I F I C A T E

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

As Court Reporter, I hereby certify that
the foregoing transcript is true and
accurate and contains all the facts,
matters, and proceedings of the hearing
held on: 8-13-92

Marilyn Johnson

CONTINENTAL REPORTING SERVICE, INC.

CONTINENTAL REPORTING SERVICE
SEATTLE, WA 206-624-DEPS (3377)