

BEFORE THE WASHINGTON UTILITIES AND
TRANSPORTATION COMMISSION

1
2
3
4 WASHINGTON UTILITIES AND)
5 TRANSPORTATION COMMISSION,)
6)
7 Complainant,)
8 vs.)
9)
10 PUGET SOUND POWER & LIGHT,) Cause No. UE-920499
11)
12 Respondent.)
13 -----)

9 The deposition of COLLEEN E. LYNCH in the
10 above matter was held on August 13, 1992, at 10:45
11 a.m., at 1300 South Evergreen Park Drive Southwest,
12 Olympia, Washington.

13 The parties were present as follows:

14 COMMISSION, Donald Trotter, Assistant
15 Attorney General, 1300 S. Evergreen Park Drive S.W.,
16 Olympia, Washington 98504.

17 WICFUR, Mark Trincherro, Attorney at Law,
18 2300 First Interstate Tower, 300 S.W. Fifth Avenue,
19 Portland, Oregon 97201.

20 PUGET POWER, James Van Nostrand, Attorney at
21 Law, One Bellevue Center, Suite 1800, Bellevue,
22 Washington 98004.

23 BELLINGHAM COLD STORAGE, TRIDENT SEAFOODS,
24 et al., Carol S. Arnold, Attorney at Law, 5400 - 701
25 Fifth Avenue, Seattle, Washington 98104.

26 PUBLIC, Charles F. Adams, Assistant Attorney
27 General, 900 Fourth Avenue, Suite 2000, TB-14,
28 Seattle, Washington 98164.

29 Marilyn Johnson, RPR
30 Court Reporter

RECEIVED
SECRETARY'S OFFICE
02 AUG 27 11:10:59

CONTINENTAL REPORTING SERVICE
SEATTLE, WA 206-624-DEPS (3377)

ORIGINAL

WASHINGTON UTILITIES AND TRANSPORTATION COMMISSION
UE-920499 EX 17V

✓

1 I N D E X

2	EXAMINATION BY	PAGE
3	MR. TROTTER	3, 26, 44
4	MR. TRINCHERO	17, 45
5	MS. ARNOLD	24
6	MR. ADAMS	27

7

8 EXHIBIT MARKED ADMITTED

9 (NO EXHIBITS MARKED.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

DEPOSITION REQUEST NO.	PAGE
1	22
2	36

1 Whereupon,

2 COLLEEN E. LYNCH,
3 having been first duly sworn, was called as a
4 witness herein and was examined and testified as
5 follows:

6

7 EXAMINATION

8 BY MR. TROTTER:

9 Q. Thank you. You just gave us your name.
10 You're employed by Puget Sound Power & Light Company
11 as the manager of pricing, is that correct?

12 A. That's correct.

13 Q. How long have you been manager of pricing?

14 A. I've been manager of pricing for four
15 years.

16 Q. Have you ever presented testimony to the
17 Commission before?

18 A. Not to this Commission.

19 Q. But to other Commissions?

20 A. To California and to Montana.

21 Q. And in what capacity did you give
22 testimony there, in those locations?

23 A. Regarding the subject of cost of service
24 for both electric and water utilities.

25 Q. Could you name the utilities?

1 A. I was working for Pacific Power & Light in
2 Portland.

3 Q. Oh, I see. Were you here for the
4 questions of Mr. Knutsen?

5 A. Yes.

6 Q. You understand the process here today?

7 A. Yes.

8 Q. Since the time your testimony was first
9 submitted to the Commission, there were several
10 changes made to it that were filed around August 3rd,
11 is that correct?

12 A. That's correct.

13 Q. And so the questions that I ask you today
14 will be based on the revised version unless for some
15 reason I state otherwise. Is that understood?

16 A. Okay.

17 Q. Your responsibility in this case is to
18 present and defend the company's proposed cost of
19 service studies?

20 A. That's correct.

21 Q. And on page two of your testimony, Exhibit
22 T-2, you refer to -- on line 20, you refer to the
23 National Association of Regulatory Utility
24 Commissioners or NARUC, draft electric utility cost
25 allocation manual of February 1991, is that correct?

1 A. Yes.

2 Q. And in various points of your testimony,
3 for example, on page seven to eight, you have quoted
4 excerpts from that same manual, is that right?

5 A. That's right.

6 Q. And do you consider that manual to be
7 authoritative?

8 A. I consider that manual to be a good
9 representation of the types of issues facing the cost
10 of service analyst.

11 Q. So you do not accept any judgments in that
12 manual as to appropriate costing or are you just
13 accepting it as what you said?

14 A. I believe that it presents guidelines. I
15 believe that it presents certain considerations that
16 should be made when you're making cost of service
17 decisions. I don't necessarily believe that it is all
18 encompassing when you are deciding upon one issue
19 versus another. I think it lays out well, in a rather
20 broad sense, the issues that are facing cost of
21 service decisions.

22 Q. Is there anything in that manual that
23 strikes you as being incorrect?

24 A. Not as being incorrect, no.

25 Q. Are you aware that the staff of this

1 Commission has corresponded with the primary author of
2 that manual who has registered certain concerns
3 regarding certain aspects of that manual?

4 A. Yes.

5 Q. And those concerns were in the area of
6 customer related cost, is that correct?

7 A. That's correct.

8 Q. On page 14 of your testimony, you indicate
9 or refer to here that the company has adopted the peak
10 credit method, do you see that?

11 A. Yes.

12 Q. And one of the reasons you give there is
13 because that method was endorsed by the collaborative
14 group, and you cite concept number six from one of Mr.
15 Hoff's exhibits from the -- which I believe is a
16 report from the collaborative group, is that correct?

17 A. That's correct.

18 Q. You give two other reasons, one, it's been
19 used by the company for the past ten years at least,
20 and it's considered reasonable by the company's system
21 planners. When you state that the collaborative group
22 endorsed the peak credit method, am I correct that the
23 collaborative group endorsed the method in general but
24 did not come to any agreement on the exact particulars
25 and how that method would actually be implemented, is

1 that correct?

2 A. That's correct. The collaborative
3 endorsed or agreed to the use of the peak credit
4 method as an appropriate way or means to classify
5 production plant, but did not endorse a particular
6 calculation or manner of making that characterization
7 or calculation.

8 Q. So you're not suggesting that your
9 particular presentation of the peak credit method is
10 necessarily the only possible one that collaborative
11 members would necessarily have to --

12 A. That's correct. What I'm presenting to
13 you and what Mr. Hoff presents to you is how Puget
14 would prepare and would calculate the peak credit
15 classification factors.

16 Q. On page three and four of your testimony,
17 you give a summary of your key recommendations. The
18 second one is the peak credit method classifying
19 production plant between demand and energy, and the
20 next page, you state that forward looking
21 relationships should be used in the embedded cost of
22 service study to better signal costs to customers.
23 When you talk about forward looking -- a forward
24 looking embedded cost study, is that somewhere on the
25 spectrum between a traditional embedded cost study and

1 a marginal embedded cost study?

2 A. It would be on that spectrum only in that
3 the -- in our use of -- our way of presenting forward
4 looking relationships, we look at -- and this is
5 primarily through our classification factors -- we
6 look at the marginal costs of certain components such
7 ^{alt} as in the ^{PEAK} ~~pinning~~ credit, we look at what we'd
8 consider our marginal units, so oftentimes if you're
9 moving on the
10 spectrum I think you -- if you're talking in terms of
11 absolute results between two types of studies, it
12 would be between the spectrum, but it's not doing
13 anything to the revenue requirement which -- you know,
14 it's not an adjustment to the actual revenue
15 requirement which would be the case if you were
16 analyzing a marginal cost based system -- excuse me,
17 revenue requirement.

18 Q. Would you characterize your methodology or
19 your recommendation here as recommending a marginal
20 cost approach that is reconciled through the revenue
21 requirement, or what advantage does this proposal have
22 over a marginal cost approach?

23 A. First of all, this has the advantage of
24 again relying on the verification and the -- being
25 able to look at the company's records. It is based on

1 in terms of the overall revenue requirements or costs
2 that are allocated, based on the approved revenue
3 requirements or the proposed revenue requirements in
4 the case of a general rate case. So then you don't
5 have to do the adjustments which are required when
6 dealing with a marginal cost, in a sense a true
7 marginal cost and forward looking history -- not
8 history, revenue requirement.

9 It also has the advantage -- we believe
10 its strongest advantage is its ability to signal and
11 to say even though you are using accounting records,
12 you can indicate what the utility is facing in terms
13 of serving the next customer or unit.

14 Q. But a pure marginal cost study would give
15 that same signal, wouldn't it?

16 A. That's correct.

17 Q. So that the -- I guess the primary factor
18 that you believe that this forward looking embedded
19 cost study is superior to marginal cost is simply that
20 it's tied to the books?

21 A. I believe it gives more parties in a
22 proceeding more level of comfort with the results,
23 yes.

24 Q. More parties, did you say?

25 A. More participants in the case feel more

1 comfortable with dealing with actual results of
2 operations and pro forma adjustments.

3 Q. In theory is Puget -- does Puget feel that
4 marginal cost studies are more appropriate than in
5 forward looking embedded, but because we want to have
6 that comfort level, we should do it that way, or --

7 A. I think Puget's very comfortable with the
8 forward looking embedded types of cost service that we
9 study, or that we are presenting here.

10 Q. Page 11 of your testimony, you indicate
11 that the test period, parenthesis, revenue requirement,
12 close parenthesis, used in your cost of service study
13 was the one used in the last rate case, docket
14 U-892688T, is that correct?

15 A. That's correct.

16 Q. And the test period in that case was the
17 12 months ended September 1988?

18 A. That's right.

19 Q. If Puget were to file a new rate case this
20 fall, for example, would it be your intent to rerun
21 your study updated to that filing or would you propose
22 to wait for an order in that case or how would you
23 envision the process, assuming you're entitled to
24 invoke such a process?

25 A. If we were to file a general rate filing

1 in November of this year, it is our intent to actually
2 recast the cost of service study that's contained
3 within this case, using those concepts as filed in
4 this case.

5 Q. On page 12 of your testimony you indicate
6 that your calculation of the peak credit method
7 reflects the particular resources identified in the
8 company's most recent integrated resource plan.

9 A. That's correct.

10 Q. Are you referring to the company's third
11 IRP which was presented to the Commission this spring
12 and is the subject of public hearings in May of this
13 year?

14 A. I'm referring to the 1992-93 IRP. I am
15 not sure if it's the third.

16 Q. It was the one that was presented at
17 hearings this spring?

18 A. Yes. Yes.

19 Q. On page 16 of your testimony, you begin to
20 address the classification of transmission costs in
21 your cost study, and you talk about non-generation
22 related and generation related transmission costs, and
23 on page 17, you indicate that non-generation related
24 transmission costs were classified as 100 percent
25 demand related. Do you see that?

1 A. Yes.

2 Q. And the reason is shown in your -- in the
3 question and answer beginning on line 16?

4 A. That's correct.

5 Q. Would you agree that there would be
6 incremental cost increases and materials for building
7 transmission lines to handle the larger demand?

8 A. Going from one size to another?

9 Q. Yes.

10 A. Yes.

11 Q. Would you agree that many costs are common
12 to a transmission line irrespective of its size such
13 as cost permitting, standard size poles, rights-of-
14 way acquisition, things of that nature?

15 A. Yes.

16 Q. Then on line 12 of page 17, you indicate
17 that for generation related transmission, you are
18 using the peak credit method?

19 A. That's correct.

20 Q. And has this Commission allocated
21 generation related transmission according to that
22 method in the past?

23 A. Yes. In the cost of service studies that
24 we've filed before this Commission in the past, that
25 is the method that has been used.

1 Q. And has the Commission accepted those in
2 past cases?

3 A. In a general way, yes.

4 Q. Turn to your Exhibit 6 which is CEL-5,
5 and on page four you show some comparisons of results
6 of scenarios. On line two, base case scenario, is
7 this Puget's case?

8 A. Line two represents our proposal, yes.

9 Q. Okay. And are these typically known as
10 parity ratios?

11 A. That's correct.

12 Q. So, for example, for residential under
13 this particular scenario, the residential class is
14 paying 93 percent of its share as Puget views it?

15 A. Yes.

16 Q. And does this page and the next page, and
17 recognizing revisions have been made, are these in
18 your opinion correct calculations at this time?

19 A. In terms of the scenario?

20 Q. Yes.

21 A. Yes.

22 Q. Referring to the issue of customer
23 charges, would I be correct that a high customer
24 charge or basic charge, in other words, a charge that
25 is not related to KWH taken, that that goes further to

1 insuring that the company will recover those dollars
2 than charges -- a charge that would vary with kilowatt
3 hours sold?

4 A. I think that's a traditional point of
5 view, that when you are -- when you have a fixed cost
6 or a fixed charge such as a basic charge, those are
7 more quote unquote sure revenues than a charge
8 recovered through any kind of usage which may vary.

9 Q. And does Puget recognize that principle or
10 that concept as important in determining that there
11 ought to be a flat nonusage sensitive basic charge,
12 and that it ought to be at a level -- more substantial
13 level than a less substantial level?

14 A. I think in terms of the customer charge,
15 specifically I think Puget's first concern is that it
16 be cost based. I think that in making the rate design
17 decisions, that Mr. Hoff did consider the items that
18 you've mentioned, but in terms of -- you know, any
19 basic charge or customer charge, our first
20 consideration is that it be cost based. In other
21 words, recovering as much of cost as it can.

22 Q. Say that again. I'm sorry, the last
23 phrase.

24 A. In other words, recovering as much of the
25 cost as it can.

1 Q. Doesn't that -- isn't that argument or
2 statement circular in that if you have a basic charge
3 -- however those costs are built into rates -- as long
4 as you recover them, you're going to recover them?

5 A. As long as you recover them, you recover
6 them? Yeah.

7 Q. Let me phrase it another way. You said
8 that the basic charge ought to be cost based, but
9 isn't it correct that if those customer costs that you
10 are recovering through the basic charge are recovered
11 some other way, the revenues still flow to the company
12 and it's still recovering its costs?

13 A. That's true on a system or class level. I
14 believe that on an individual customer level that's
15 not so true.

16 Q. Why?

17 A. You may not -- that individual customer
18 may not be experiencing or seeing the full cost or the
19 true costs related to customer if he or some other
20 customer is paying that through some other means.

21 Q. One of the changes between your original
22 filed testimony and the revised testimony is a
23 decrease in the customer charge from \$5.35 to \$4.75
24 for residential?

25 A. That's correct.

1 Q. And could you explain what the reason for
2 that was?

3 A. The reason for that was that there were
4 certain accounts or ID's which in our prefiled Exhibit
5 6 we had included as -- or we had included 100
6 percent, when in effect those accounts should have
7 been prorated between being customer related and being
8 demand related.

9 Q. Is my understanding correct that this had
10 to do with some sort of tax item?

11 A. That was the second change. There was
12 two changes in our refiling. The first change was
13 that we eliminated some costs which were not treated
14 as -- were treated as 100 percent rather than a
15 prorated amount. The second change was to reflect the
16 tax benefit of interest expense, so we used the after
17 tax rate of return.

18 Q. And was that after tax rate of return
19 applied consistently throughout your study?

20 A. That is applied in the development of the
21 customer charge consistently. I think the correct
22 term, I'm sorry, is net of tax rate of return.

23 Q. Okay. Let me just --

24 MR. TROTTER: Counsel, if I could just
25 take a moment and discuss with staff for a second if

1 there is any further inquiries.

2 (Discussion off the record.)

3 MR. TROTTER: Thank you. That's all I
4 have.

5

6 E X A M I N A T I O N

7 BY MR. TRINCHERO:

8 Q. Good morning, Ms. Lynch.

9 A. Good morning.

10 Q. Turning to page 19 of your testimony which
11 is marked T-2.

12 A. Okay.

13 Q. On lines six through nine.

14 A. Yes.

15 Q. You state that to allow the effects of
16 using the minimum system method to continue to be
17 considered, the company has included that method as a
18 scenario. To your knowledge in past rate design
19 proceedings, has it been the company's position that
20 the minimum system method is the appropriate method to
21 use?

22 A. In our past proceedings we have used the
23 minimum system, yes.

24 Q. Could you describe for me the factors that
25 the company considered and which persuaded the company

1 to abandon that method in this proceeding?

2 A. I think the primary factor which persuaded
3 the company to move from a minimum system approach for
4 classifying distribution plant to the proposed
5 approach using basic customer, was the collaborative
6 process that we had just completed prior to this
7 filing.

8 In that process it was the company's
9 feeling that more parties, if not all parties, could
10 accept the basic customer method over the minimum
11 system method, and so in the interest of gaining some
12 endorsement, Puget presented in its filing the basic
13 customer method.

14 Q. Is it your position that the collaborative
15 group indeed endorsed the use of the basic customer
16 method?

17 A. It's my position that the collaborative
18 group, that more members in the collaborative panel
19 could endorse the basic customer. I guess using the
20 collaborative group as a whole did not endorse this
21 use. This decision, I might add, was also made in
22 combination or consideration of rate design decisions
23 as well, which perhaps Mr. Hoff can talk to you about.

24 Q. So regarding the theoretical underpinnings
25 for using one method as opposed to the others, I

1 should address those questions to Mr. Hoff?

2 A. As far as the theoretical? No, I can
3 answer those.

4 Q. Okay. You said the primary reason, going
5 back to your answer to the first question, primary
6 reason was because of indications that you got through
7 the collaborative process. What other factors did the
8 company consider?

9 A. Well, I think we had to realistically look
10 at past Commission decisions, and it's my
11 understanding and review of past Commission decisions
12 did not accept our use of the minimum system study.

13 Q. I am going to refer you to a response to
14 -- that you gave to WICFUR, data request number 302.
15 Do you have those responses with you?

16 A. Yes, I do.

17 Q. Thank you.

18 A. 302?

19 Q. Yes.

20 A. Okay.

21 Q. This is a rather technical question. In
22 the third -- I guess it's the second full paragraph of
23 your response on that page, you state that "accounts
24 369 and 370 were classified as 100 percent customer
25 related in this scenario." Could you explain why that

1 is?

2 A. Well, I think that what this scenario is
3 attempting to do was to hold the classification method
4 in the company's proposal constant, and that was a
5 treatment of those two ID's as being customer related,
6 and shift or reclassify the other distribution
7 accounts which are generally subject to a minimum
8 system type of factor between -- away from what our
9 proposal shows as being 100 percent demand related to
10 the categories of either customer related or demand
11 related.

12 Q. Thank you. Returning to your earlier
13 responses, going to move away from the company's
14 position and ask you as a cost of service analyst
15 whether in your opinion the minimum system analysis is
16 an appropriate method of determining customer charges.

17 A. Of determining customer charge?

18 Q. Well, I'm sorry. Of determining the
19 classification of the distribution accounts.

20 A. Well, as I've stated, I believe that there
21 is merit in looking at the minimum system results.
22 Frankly, as that has been the recommendation of the
23 company in the past, as our studies in the past have
24 been based on minimum system, I believe there's merit.
25 You know, that suggests again that we felt that there

1 was merit to using this method. I continue to believe
2 that there are certain situations -- well, excuse me.
3 I continue to believe that the minimum system approach
4 is correct by itself, but may be somewhat tempered
5 through other considerations.

6 Q. Thank you. I'm going to turn your
7 attention now to your response to WICFUR data request
8 number 303.

9 A. Okay.

10 Q. In that response you provided the
11 annualized estimated conservation savings through the
12 period ending September 1988. Would you please
13 describe for me just briefly how you developed the
14 estimate of conservation savings?

15 A. These estimates were derived from
16 information prepared by our -- I'll say the
17 conservation department, but I know that they have
18 another name right now, but I can't think of it -- so
19 the conservation department, and it is more or less an
20 estimated savings by program, at the time that the
21 measures are installed, so it's an estimate of the
22 kilowatt hour savings by measure or program type.

23 Q. And what data forms the basis for making
24 that estimate?

25 A. I guess I could provide that. I really

1 couldn't talk very much about that right now.

2 Q. Thank you. Given the fact that the --
3 could we go off the record for a moment?

4 (Discussion off the record.)

5 BY MR. TRINCHERO:

6 Q. I'd like to formally request as a
7 deposition request that you provide an explanation of
8 the data that is used in formulating the estimate of
9 the conservation savings.

10 MR. TROTTER: Shall we call that
11 deposition request 1?

12 MR. TRINCHERO: Or I -- yes, I guess. Are
13 we going to allocate ourselves 300 numbers again?

14 MR. TROTTER: No, just 1 will be fine.

15 MR. TRINCHERO: Okay.

16 A. You want an explanation of how the
17 calculations of estimated kilowatt hour savings were
18 developed?

19 BY MR. TRINCHERO:

20 Q. Or a description of the data that is used
21 to --

22 A. Yes.

23 (Deposition Request No. 1.)

24 Q. All right. Thank you. Turning your
25 attention to your response to WICFUR data request 305,

1 under the heading of fuel cost?

2 A. Yes.

3 Q. You state that the "1991 gas prices for
4 the combined cycle combustion turbine are based upon a
5 Puget Power estimate of the price for a long-term
6 contract." Would you describe for me how you derived
7 that estimate?

8 A. Mr. Hoff in his testimony goes into the
9 details on the calculation, and would be able to
10 address those items.

11 Q. Thank you. One final set of questions.
12 If you could turn to your response to WICFUR data
13 request number 309, in the last paragraph on that
14 page, you refer to the modified basic customer method?

15 A. Yes.

16 Q. And in the last sentence you say that
17 "This method would be appropriate if the utility
18 installed a new meter service and line transformer for
19 each new customer addition regardless of the overall
20 usage level or connected load." How likely is that
21 hypothetical to occur?

22 A. It would be dependent on the -- I would
23 say the area that the new construction or the new
24 development is going to be located. I think that
25 obviously, in some of our areas, we wouldn't be

1 required to put in a new transformer for that new
2 customer addition.

3 Q. I have no further questions. Thank you.

4

5 E X A M I N A T I O N

6 BY MS. ARNOLD:

7 Q. I have a few questions, Ms. Lynch, and
8 some of these might be more appropriately addressed to
9 Mr. Hoff, but I trust you'll tell me if that's the
10 case. At page 13 of your testimony, you discuss the
11 classification of production costs. Are winter and
12 summer production costs classified separately?

13 A. No, they are not.

14 Q. On page 16, you discuss transmission
15 costs. Are winter and summer transmission costs
16 classified separately?

17 A. Are they classified separately?

18 Q. Yes.

19 A. No.

20 Q. And would your answer be the same for the
21 distribution costs?

22 A. That's correct.

23 Q. Does your cost of study reflect seasonal
24 differences in costs anyplace?

25 A. Those kinds of seasonal differentiations

1 that we are talking about can be inferred from the
2 allocation methods that are used in the cost of
3 service study. For example, on the production plant,
4 the allocation methods are using the contribution of
5 each class to the top 200 hours of system load. Our
6 system load tends to be in the wintertime, and so that
7 you may call those costs allocated in that manner,
8 winter or peak related.

9 The same kind of thing can be -- same kind
10 of inference can be made on the distribution system.

11 Q. Are the levels of the rates in the
12 proposed rate design in cases where there's seasonal
13 rate differentials cost based? Let me start that
14 question over again. Are the seasonal differentiation
15 in the rates themselves in the proposed tariff cost
16 based?

17 A. Yes. I believe that -- this is one where
18 Mr. Hoff can more fully describe, but I know that they
19 are cost based. I know that he relied on some
20 information from the proposed cost of service study.

21 Q. And what information was that?

22 A. That information was looking at the
23 allocation to each class of demand related costs by
24 functional category. I believe he also used other
25 information to make other seasonality decisions.

1 Q. Do you know what those other -- what that
2 other data that he based the seasonality decisions on
3 were?

4 A. Again, he can go into more further detail,
5 but I believe he looked at the differences in marginal
6 costs, but I think he should -- could do -- could more
7 fully answer that question.

8 Q. Okay. Thank you very much.

9

10 E X A M I N A T I O N

11 BY MR. TROTTER:

12 Q. Just one follow-up. You were asked some
13 questions on -- excuse me.

14 MR. TROTTER: Chuck is next.

15 MR. ADAMS: Yeah, go ahead.

16 BY MR. TROTTER:

17 Q. While we're on the follow-up from WICFUR's
18 counsel, you were talking about the minimum system and
19 basic customer charge method. You're talking about
20 the collaborative process and certain rate design
21 issues. Are those the responsibility of Mr. Hoff or
22 can you further elucidate on what you meant by rate
23 design issues?

24 A. The rate design issue that I was referring
25 to, and which Mr. Hoff can add further detail, is the

1 basic charge calculation for the residential class,
2 and the first step of their energy rate, and he can
3 provide more information on those.

4 Q. Thank you. Sorry.

5

6 EXAMINATION

7 BY MR. ADAMS:

8 Q. No problem. Ms. Lynch, Chuck Adams,
9 public counsel. First off, you make a reference at
10 page seven of your testimony, line five, where you're
11 talking about the most contested classification
12 issues, and you say under one, whether the
13 predominance method should be used.

14 A. Okay.

15 Q. Is there some reference in the
16 professional literature or some other basis for the
17 predominance method that you described there?

18 A. I know that my use of this term came from
19 reviewing some information that I received at a
20 conference regarding rate design and cost of service,
21 and although the term predominance method may not have
22 been used exactly, I believe that in the NARUC manual,
23 they discuss coming up with something that in my
24 estimation is approximate to the predominance method,
25 so specifically it came from information at

1 professional conferences.

2 Q. And specifically the NARUC conference?

3 A. No, it was not NARUC. I don't have the
4 cite, but I could provide it to you.

5 Q. Could you just informally provide that
6 to us?

7 A. Sure.

8 Q. Would you turn to what's been marked
9 Exhibit 3, page seven, and looking specifically at the
10 top three customer classes, that is, residential,
11 water heat, space heat and lights and appliances, and
12 then going across the page to the class load factor
13 column, do you see that?

14 A. Yes.

15 Q. And you'll notice there for water heat
16 it shows a load factor of .62, space heat 467 and
17 lights and appliances 565. Do you see those numbers?

18 A. Yes.

19 Q. This exhibit shows water heat customers
20 having higher load factors than lights and appliances
21 which appears to us to be in conflict with past load
22 research that Puget has provided for, as an example,
23 that provided in the interclass cost of service study
24 presented in 892688. Would you tell us what has
25 changed, why those numbers are different here than in

1 past research?

2 A. What's changed here is moving from 12
3 hours, which was 12 coincident peak hours, which was
4 the basis in U-892688-T, to 200 hours, which is the
5 basis for these numbers shown on page seven.

6 Q. So basically the -- if you will, the
7 underlying statistics of usage are the same, but it's
8 using a different measuring period, is that what
9 you're saying?

10 A. These numbers are derived looking at the
11 contribution to peak over multiple number of hours,
12 and in the '89 case it was 12 hours, and in this case
13 it was 200 hours, and the result of adding 200 hours
14 in that calculation for the water heat group tended to
15 lower their average contribution during that period,
16 and holding energy the same, that tended to improve
17 the load factor that would be presented on a page like
18 this, so it is the definition of the peak period.

19 Q. The actual usage of customers hasn't
20 changed, it's the way it's being measured, then?

21 A. It's the addition or consideration of
22 additional hours of peak usage, yes.

23 Q. But I mean that the underlying customer
24 per usage is remaining the same, is it not?

25 A. That's right.

1 Q. Okay. Going back to your testimony at
2 page nine, line 15, you indicate that a substation may
3 be directly assignable. Do you see that?

4 A. Yes.

5 Q. If this is done, is the customer also
6 assigned a pro rata share of all allocated substation
7 costs?

8 A. The -- what happens in this case is the
9 class in which that customer which has the dedicated
10 substation, that class receives that allocation of
11 plant investment as well as the associated revenues,
12 and the class in whole gets an allocation of the other
13 nondirectly assignable substation costs, so yes.

14 Q. Turning to page 12 of your testimony, line
15 four, the reference to federal income taxes.

16 A. Okay.

17 Q. It states the federal income tax expenses
18 are allocated based on allocated rate base, correct?

19 A. That's correct.

20 Q. Is the company's support of this approach
21 contingent upon the Commission determining that all
22 classes should provide the same rate of return?

23 A. That issue was raised in the
24 collaborative, and it was noted that this allocation
25 is acceptable if there is an equalized rate of return

1 across the classes.

2 Q. What if there isn't a -- the same rate of
3 return applied as -- what would the company's position
4 be?

5 A. If there is not the same rate of return
6 applied across the classes?

7 Q. Yes.

8 A. I think in that instance, we would look at
9 all possible allocation factors, or may even consider
10 an actual calculation of taxes for this class.

11 Q. So is it your position that the income tax
12 should follow whatever rate of return is adopted by
13 the Commission, the calculation?

14 A. Rate of return at the system level?

15 Q. No, on a class basis.

16 A. On a class basis. I think that the -- if
17 you are allocating federal income tax expense, then it
18 should follow income, the allocation of net income,
19 operating income, which in a sense -- which is a
20 result of the assignment of rate of return across
21 classes.

22 Q. Referring now to your identification,
23 CEL-4, I guess it's Exhibit No. 5, pages one and
24 two, would you explain what discount was used and if
25 it is not the net of tax cost of capital, explain why

1 that discount rate that you used was used?

2 A. I think Mr. Hoff can describe that.

3 Q. So at this point you don't know what
4 discount rate --

5 A. I can tell you that -- I wouldn't be able
6 to tell you, right.

7 Q. Turn if you would, then, to Exhibit 3,
8 page four.

9 A. Page four meaning summary two?

10 Q. Hold on a second. I think I gave you a
11 mis-cite. Sorry. Exhibit 5, page four. Pardon
12 me. Exhibit 5, page two.

13 MS. ARNOLD: Is that CEL-6?

14 MR. ADAMS: No, CEL-4.

15 THE WITNESS: Exhibit 5, page two? Okay.

16 BY MR. ADAMS:

17 Q. Right. Are you assuming that 100 percent
18 of the fuel used by the peaker unit is oil, or is part
19 of it gas and part of it oil?

20 A. In the calculation of the peak credit
21 method for the peaking unit, that's assuming 100
22 percent is oil.

23 Q. Does that implicitly assume that Puget's
24 interruptible gas supply to its combustion turbines
25 would be curtailed for all 200 hours of the on-peak

1 period?

2 A. Could you repeat that?

3 Q. Yes. As I understood your question, you
4 said that you assumed 100 percent peak usage of oil.

5 A. We assumed for the simple cycle combustion
6 turbine which was our peaking unit, during the
7 critical period, during the 200 hours, we assumed 100
8 percent oil fuel.

9 Q. Okay. Now, following up on that
10 statement, does that implicitly assume that Puget's
11 interruptible gas supply to its combustion turbines
12 would be curtailed for all 200 hours of the on peak
13 period?

14 A. For purposes of running the combustion
15 turbine, yes. For purposes of running the simple
16 cycle combustion turbine, the peaking unit, yes.

17 Q. Would you not agree that gas would be
18 cheaper than oil?

19 A. Gas may be cheaper than oil, but at the
20 time when these peaks occur, gas may not be available
21 for these hours of operation.

22 Q. And that's because of your interruptible
23 gas supply for those units?

24 A. I imagine that's -- yes.

25 Q. Ms. Lynch, I gathered an essential amount

1 of uncertainty in your response. I'm not sure. Could
2 I ask for a data request on this particular issue to
3 see how this works out?

4 A. Is your request in -- is it regarding the
5 assumptions made in developing the classification
6 factor? Or is it specifically regarding any
7 combustion turbines we may have and their associated
8 fuel contracts?

9 Q. As a first part response, the questions
10 were intended to determine how you would apply the
11 classification factor here.

12 A. Then my answer is that it was assuming
13 that for the combustion turbine, that those fuels,
14 natural gas fuels, would and probably -- could and
15 probably would be interrupted during the critical
16 period, for purposes of the classification
17 calculation.

18 Q. Are you not assuming that they would
19 definitely be interrupted for all 200 hours?

20 A. Seeing as how they're not included in the
21 200 hours, yes.

22 Q. Is there -- is this in fact the way the
23 company would expect to run those turbines during that
24 200 hours, that is, not using any gas but only oil?
25 Not asking you now about how you've classified it, but

1 in fact the actual way the company would program to
2 run its turbines.

3 A. Right. I would expect that if during
4 those 200 hours gas was available, and if gas is in
5 fact the least cost or the lower cost fuel, I would
6 expect that we would use that fuel type in a plant
7 that could use both.

8 Q. You have used, I gather, in terms of your
9 modeling, 200 actual hours in a given year, is that
10 not correct?

11 A. We used the top 200 in the test period,
12 yes.

13 Q. Could you please provide then a listing of
14 the 200 hours showing the date and hour for each and
15 the interruptions of gas, that is, where they actually
16 occurred in that 200 hours?

17 A. Let's see if I understand it correctly.
18 During the 200 hours that we've used in our
19 allocation, you would like to know if there were any
20 gas interruptions.

21 Q. We want a list of the 200 hours showing
22 the date and hour of each and where the interruptions
23 occur.

24 A. And the interruptions are on the gas
25 availability, right, that you're asking about?

1 Q. Yes. The assumption that I had was that
2 they're all running on oil -- they run on gas unless
3 they were interrupted, your classification
4 methodology, you assume, they were all interrupted.
5 We want to see what the actual two hours would look
6 like for your base period.

7 A. The reason I'm hesitating is that I'm
8 thinking whether or not there were actually
9 interruptions, whether or not during the test period
10 there were interruptions that you're talking about,
11 but I can provide to you that information.

12 Q. Right. The information will show those
13 interruptions if they occurred, correct?

14 A. Yes.

15 Q. Thank you.

16 MR. TROTTER: Would that be deposition
17 request two?

18 MR. ADAMS: Yes.

19 (Deposition Request No. 2.)

20 BY MR. ADAMS:

21 Q. Got a couple of questions that -- excuse
22 me. Go ahead and look it up. I'm not sure frankly
23 between you and Mr. Hoff which was the appropriate
24 person, so let me ask them to you and you can defer if
25 you so choose. When computing the peak credit factor,

1 is it correct that you divided the cost of a peaking
2 resource located inside the service territory by the
3 cost of a base load or combined cycle resource also
4 located inside the service territory?

5 A. I would say yes in that the cost basis are
6 from units included in our resource plan, so they
7 would be -- I would assume that those would be in our
8 service territory.

9 Q. Do you then apply the fraction to the
10 company's peaking and base load resources which are
11 located both inside and outside the service territory?

12 A. The same factor is applied to all
13 production resources regardless of the location.

14 Q. The two types of peaking resources you
15 considered were simple cycle combustion turbines and
16 purchase capacity, correct?

17 A. The two -- for the purposes of the peak
18 credit calculation, the two types of resources was a
19 combined cycle combustion turbine and a simple cycle
20 combustion turbine. If it helps, you could look at
21 our response to WICFUR, 305, which identifies the
22 two units that we used in our calculation.

23 Q. Okay. Ms. Lynch, in Mr. Hoff's
24 testimony at page 11 of his testimony, he talks about
25 an alternative measure of capacity costs and discusses

1 peaking power purchase contracts. Did you not use
2 that in your analysis, then?

3 A. We have used -- he I believe used that --
4 or referred to that in his testimony, but in the cost
5 of service testimony, it is the two plants that -- the
6 two type of plant that I just mentioned.

7 Q. Is it correct that you used 100 percent of
8 the costs of the simple cycle combustion plant --
9 combustion turbine in determining your capacity costs?

10 A. In effect we used 50 percent of those
11 costs, 50 percent of the capital and fixed costs in
12 developing those -- in developing the peak credit
13 classification.

14 Q. What's the other 50 percent come from?

15 A. I'm not understanding --

16 Q. In effect by using a 50 percent factor
17 that you used, are you not taking into effect, then,
18 the alternative measures that Mr. Hoff discusses?

19 A. In using the 50 percent, we're taking into
20 account or attempting to take into account the other
21 benefits that are available to the system from having
22 a combustion -- a simple cycle combustion turbine on,
23 and those are the benefits that Mr. Hoff discusses.

24 Q. Did you consider demand side peaking
25 resources as well as supply side resources?

1 A. In determining the classification factor?

2 Q. Yes.

3 A. No, we did not. We relied on the
4 resources identified from our power planning
5 professionals for identifying the peaking units.

6 Q. What about the cost of securing
7 interruptibility rights as an alternative to supply
8 side peaking resources?

9 A. I would, you know, expect that in making
10 their decision that this best represented the cost of
11 peak to Puget, that the simple cycle best represented
12 the cost of peak to Puget. They considered, you know,
13 all alternative resources, and they decided that these
14 of the simple cycle best represented the decision that
15 we ^{FACED} placed. *alt*

16 Q. Moving to another area, in preparing the
17 cost of service studies, did you give any
18 consideration to the differential growth rates of
19 different customer classes?

20 A. No, we did not.

21 Q. Are you familiar with an approach used by
22 Seattle City Light several years ago assigning the
23 cost of growth to all classes at marginal cost so the
24 growing classes are not subsidized by more stable
25 classes?

1 A. I'm familiar with that, and in fact, I
2 have heard it referred to as the growth shares
3 process, so, yes, I am familiar with that process.

4 Q. Did you give any consideration to its use
5 in your --

6 A. Not for this filing, no.

7 Q. Okay. Are there any specific reasons you
8 have why you didn't use it in this filing?

9 A. Well, the specific reason why we did, it's
10 more -- for the decision of using our -- or for the
11 decision of how to treat production plant, we relied
12 on the discussions that we had within the
13 collaborative process to determine the appropriate
14 method. We did not go beyond that type of decision --
15 or that type of research or investigation into other
16 methods.

17 Q. Would you agree that the commercial class,
18 basically schedule 24, has been and is expected to
19 continue to be the fastest growing of Puget's customer
20 classes?

21 A. Yes.

22 Q. Would you agree that as part of the
23 collaborative on the issue of allocating any costs of
24 growth, that there was no, if you will, unanimous
25 collaborative statement on that position?

1 A. On the issue of dealing with expenses due
2 to growth?

3 Q. Yes.

4 A. Yes.

5 Q. I want to talk briefly about transmission.
6 I think that there was some questions to you already
7 on that subject so we'll try to avoid those. To your
8 knowledge, are there economies of scale associated
9 with transmission? For example, is the average cost
10 per kilowatt of larger transmission capacity lower
11 than the average cost per kilowatt for smaller
12 transmission facilities?

13 A. I know that there are and that in some of
14 the reference material to the integrated resource
15 plan, those economies were mentioned, yes.

16 Q. Have you reviewed any studies prepared by
17 the company's transmission engineers or others
18 indicating the amount of economies of scale associated
19 with larger facilities?

20 A. No.

21 Q. I gather that any economies of scale for
22 transmission did not enter into your reasoning when
23 you selected a cost allocation methodology, is that
24 correct?

25 A. That's correct. We made the decision on

1 why -- this we feel is another example of the forward
2 looking nature of our study, why the original project,
3 why that major transmission project was undertaken,
4 and we feel that that primarily is due to a response
5 of anticipated load in the area or on the system, so
6 that was the consideration that we made in making that
7 decision.

8 Q. In building a transmission facility as an
9 example, a decision, for instance, to put in a 230KV
10 versus say a 115KV would also be based on that
11 anticipated load, would it not?

12 A. A decision between a 230 and 115?

13 Q. Yes. As an example.

14 A. Yes.

15 Q. The answer was yes?

16 A. Yes.

17 Q. Last area, would you describe -- this
18 relates to the calculation of unit costs. Would you
19 describe how the demand energy and customer related
20 costs shown on page 11 of exhibit I think it's 7 were
21 calculated?

22 A. Okay. These --

23 MR. TROTTER: Is there a page at Exhibit
24 7?

25 BY MR. ADAMS:

1 Q. Page 11. Looking specifically at the
2 units, total unit cost of service demand related,
3 total unit cost of service energy related, and total
4 unit cost of service customer related, those three
5 summary lines.

6 A. Okay. These unit costs were derived from
7 the results of applying the various classification and
8 allocation methods I've described in my testimony, and
9 then -- which in effect results in our revenue
10 requirement being identified as being either demand
11 related, energy related or customer related, and then
12 for -- for each class, and then dividing by the units
13 which were used to make the initial allocation, so the
14 units that are behind these unit costs shown on page
15 11 are shown at the top of page ten. It is those
16 usage characteristics as well as the cost of service
17 items -- specific line items shown on page 11 that
18 result in these unit costs. Our model is able to
19 carry these categories or classifications of costs,
20 and then we divided by the units used to allocate.

21 Q. Is the sum of the products of the unit
22 costs times the billing determinant for each cost item
23 equal to the revenue requirement as shown in summary
24 two, line 11 of Exhibit 4?

25 A. If you would take these unit costs on page

1 11 times the usage characteristics on page ten, you
2 would get to the line -- line six on summary two of
3 CEL-3, page one, so, yes, it comes down to the line
4 that's described as total cost of service.

5 Q. Fine. Thanks very much. That's all the
6 questions I have.

7

8 EXAMINATION

9 BY MR. TROTTER:

10 Q. Could you give me that -- line six of --

11 A. Line six on page -- it would be page four
12 of the exhibit. It's page one of summary two.

13 Summary two is referenced up in the left-hand column,
14 and there's a line entitled Total Cost of Service.

15 Q. Is there a schedule in the upper left-hand
16 corner?

17 A. I was referring to the -- it reads CEL-3
18 summary two. It's within our Exhibit 3, the Cost of
19 Service Study.

20 Q. Oh, I see. Just a minute.

21 A. And it's in line six on that schedule.
22 The schedules are independently -- are independently
23 numbered.

24 Q. Thank you. I've got it. I have nothing
25 further.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

E X A M I N A T I O N

BY MR. TRINCHERO:

Q. I have one follow-up question, actually. Going back to Exhibit 5 on page two, public counsel asked you about the -- one of the assumptions going into your peak credit method, namely, the fact that one half of the capital and fixed O&M for the combustion turbine was used for peak credit costs. Why was only one half of the cost used?

A. Only one half of the capital or fixed cost of the simple cycle combustion turbine was used in recognition of the other benefits that Puget -- the other benefits that the combined -- the combustion turbine provides, such as the ability to -- for hydro firming, the ability to run in hours exceeding 200 hours, those kinds of other features of having that unit on the system.

Q. And, in your opinion, those benefits represent one half of the cost as opposed to say three-quarters of the cost?

A. I would say -- that was the opinion of our power supply professionals, that that -- that one half was a reasonable approximation of those benefits, yes.

Q. And that reasonable approximation was

1 based on simply professional judgment?

2 A. I think it was -- it was a combination of
3 professional judgment and looking at the power
4 contracts available -- I think that was earlier
5 referred to the San Diego contract that Mr. Hoff
6 refers to.

7 Q. Very good. Thank you.

8 MR. TROTTER: Okay. You're excused.

9 The reporter needs a break but we're
10 also pretty close to lunch.

11 (Luncheon recess taken at 11:30 a.m.)

12 (Deposition concluded at 11:30 a.m.)

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

As Court Reporter, I hereby certify that
the foregoing transcript is true and
accurate and contains all the facts,
matters, and proceedings of the hearing
held on: 8-13-92

Marilyn Johnson

CONTINENTAL REPORTING SERVICE, INC.

CONTINENTAL REPORTING SERVICE
SEATTLE, WA 206-624-DEPS (3377)