

0078

1 BEFORE THE WASHINGTON STATE
2 UTILITIES AND TRANSPORTATION COMMISSION

3 In the Matter of the Petition)
of:) DOCKET NO. UT-063006
4))
LEVEL 3 COMMUNICATIONS, LLC,)
5) Volume IV
For Arbitration Pursuant to) Pages 78 to 283
6 Section 252(b) of the)
Communications Act of 1934,)
7 As Amended by the)
Telecommunications Act of)
8 1996, and the Applicable)
State Laws for Rates, Terms,)
9 and Conditions of)
Interconnection with Qwest)
10 Corporation)
_____)

11

12 A technical conference in the above matter
13 was held on August 24, 2006, from 9:30 a.m to 5:00 p.m.,
14 at 1300 South Evergreen Park Drive Southwest, Room 206,
15 Olympia, Washington, before Administrative Law Judges
16 ANN RENDAHL and PATRICIA CLARK.

17 The parties were present as follows:

18 QWEST CORPORATION, by THOMAS DETHLEFS,
Attorney at Law, Qwest Corporation, 1801 California
19 Street, 10th Floor, Denver, Colorado 80202, Telephone
(303) 383-6646, Fax (303) 298-8197, E-Mail
20 thomas.dethlefs@qwest.com; and by TED SMITH, Attorney at
Law, Stoel Rives LLP, 201 South Main Street, Suite 1100,
21 Salt Lake City, Utah 84111, Telephone (801) 578-6961,
Fax (801) 578-6999, E-Mail Tsmith@stoel.com; and by MARK
22 REYNOLDS, State Regulatory Director, 1600 Seventh
Avenue, Suite 3206, Seattle, Washington 98191, Telephone
23 (206) 345-1574, Fax (206) 343-4040, E-Mail
mark.reynolds@qwest.com.

24

Joan E. Kinn, CCR, RPR
25 Court Reporter

1 LEVEL 3 COMMUNICATIONS, by ERIK CECIL,
2 Attorney at Law, Level 3 Communications, LLC, 1025
3 Eldorado Boulevard, Broomfield, Colorado 80021,
4 Telephone (720) 888-1319, Fax (720) 888-5134, E-Mail
5 Erik.Cecil@Level3.com; and by SCOTT PORTER, Attorney at
6 Law, Level 3 Communications, LLC, One Technology Center,
7 Tulsa, Oklahoma 74103, Telephone (918) 547-9880, Fax
8 (918) 547-9446, E-Mail Scott.Porter@Level3.com; and by
9 GREG L. ROGERS, Director State Regulatory Affairs, Level
10 3 Communications, LLC, 1025 Eldorado Boulevard,
11 Broomfield, Colorado 80021, Telephone (720) 888-2512,
12 Fax (720) 888-5134, E-Mail Greg.Rogers@Level3.com; and
13 by ARTHUR A. BUTLER, Attorney at Law, Ater Wynne LLP,
14 601 Union Street, Suite 5450, Seattle, Washington 98101,
15 Telephone (206) 623-4711, Fax (206) 467-8406, E-Mail
16 aab@aterwynne.com.

17 THE COMMISSION: BOB WILLIAMSON, Commission
18 Staff, LISA STEEL, Policy Advisor for the Commission,
19 and WILL SAUNDERS, Telecommunications Staff.

20
21
22
23
24
25

0080

1 -----

2 INDEX OF DISCUSSION

3 -----

4 WITNESS: PAGE:

5 LEVEL 3

6 MACK D. GREENE 86

7 KENNETH L. WILSON 161

8 QWEST

9 LARRY B. BROTHERSON 189

10 PHILIP LINSE 234

11 WILLIAM R. EASTON 263

12

13

14

15

16

17

18

19

20

21

22

23

24

25

0081

1 -----
2 INDEX OF EXHIBITS
3 -----

5	EXHIBIT:	MARKED:	ADMITTED:
6	MACK D. GREENE		
7	MG-7	124	
8	MG-8	177	
9	KENNETH L. WILSON		
10	KLW-3	177	
11	KLW-4	178	
12	KLW-5	183	
13	LARRY B. BROTHERSON		
14	LBB-2	189	
15	LBB-4	189	
16	LBB-5	189	
17	LBB-6	189	
18	LBB-7	189	
19	LBB-8	189	
20			
21			
22			
23			
24			
25			

0082

1 P R O C E E D I N G S

2 JUDGE RENDAHL: We're here on the morning of
3 Thursday, August 24th, for a technical conference before
4 the Washington Utilities and Transportation Commission.
5 I'm Ann Rendahl, the Administrative Law Judge or
6 Arbitrator in this proceeding, which is Docket
7 UT-063006, which is an Arbitration, a request for
8 Arbitration by Level 3 Communications LLC for
9 Interconnection with Qwest Corporation.

10 And because this is a technical conference
11 and not technically a hearing, the format will be
12 slightly different today. Before we go any further,
13 however, why don't we go around the room and identify
14 ourselves, if counsel for Level 3 would identify
15 themselves and the people who are with Level 3 in the
16 room, that would be a great start.

17 MR. CECIL: Certainly. Erik Cecil,
18 Regulatory Counsel, Level 3, with me are Ken Wilson and
19 Mack Greene.

20 JUDGE RENDAHL: Thank you.

21 Is there anyone else for Level 3 here in the
22 room?

23 MR. PORTER: Yes, Your Honor, Scott Porter.

24 JUDGE RENDAHL: Okay, if you can come up to
25 the mike, that would be great.

0083

1 MR. PORTER: Scott Porter, Regulatory Counsel
2 for Level 3 as well.

3 JUDGE RENDAHL: Thank you.

4 And anyone else for Level 3?

5 MR. ROGERS: Greg Rogers, Director of State
6 Regulatory Affairs with Level 3.

7 JUDGE RENDAHL: Thank you.

8 MR. BUTLER: Art Butler from Ater Wynne,
9 Level 3.

10 JUDGE RENDAHL: Thank you.

11 And for Level 3 the witnesses will be
12 Mr. Wilson and Mr. Greene, and Mr. Greene is going
13 first, is that the plan?

14 MR. GREENE: Correct, Your Honor.

15 JUDGE RENDAHL: Okay.

16 For Qwest.

17 MR. SMITH: Your Honor, my name is Ted Smith,
18 I'm with the Salt Lake office of the law firm of Stoel
19 Rives. Mr. Dethlefs of the Qwest law department is also
20 here as counsel and Mr. Mark Reynolds, State Regulatory
21 Director for Qwest in Washington is here. At the table
22 are the three witnesses for Qwest in this case. To my
23 immediate right is Mr. Phil Linse, L-I-N-S-E.

24 JUDGE RENDAHL: Thank you.

25 MR. SMITH: Larry Brotherson is to my

0084

1 immediate left, and to the far left is Bill Easton.

2 JUDGE RENDAHL: Thank you.

3 And anyone else in the room for Qwest?

4 I'm Ann Rendahl, I identified myself before.

5 To my left is Patricia Clark, who has joined the
6 Administrative Law Division at the Commission as an
7 Administrative Law Judge this month, she's going to be
8 observing and learning today. I know there is some
9 confidential information in the record, is there any
10 objection to Ms. Clark reviewing that information?

11 Okay, hearing no objection, Ms. Clark, you're
12 free to be here.

13 To my right is Bob Williamson with Commission
14 Staff, many of you know Mr. Williamson, and Lisa Steel,
15 who is the policy advisor for the Commission, is in the
16 back of the room and Will Saunders with the
17 Telecommunications Staff.

18 I don't anticipate there will be discussion
19 on the record of confidential information. If there
20 needs to be so, you need to let me know so we can take
21 the appropriate steps. I hope we don't get that far.
22 Most of you who participate in hearings know you can
23 discuss confidential information in a way that avoids
24 the actual confidential information, so let's try to do
25 that.

0085

1 The format which was identified in one of the
2 prehearing conference orders in this case identified the
3 process for today, which will be the technical witness
4 for a company making a presentation followed up by
5 questions from Staff and myself and then from technical
6 witnesses from the other company. There will be no
7 attorney cross-examination in the technical conference.
8 And then I am assuming we will finish with Level 3's
9 witnesses and then move to Qwest witnesses. Is that
10 understood?

11 MR. SMITH: Yes.

12 JUDGE RENDAHL: Okay.

13 Any other process issues we need to address
14 before we start with Mr. Greene?

15 Mr. Greene.

16 MR. GREENE: Your Honor, if we are at the
17 board or at the screen is there a hand-held microphone
18 that we should use?

19 JUDGE RENDAHL: I'm sure we can locate one,
20 so when we get to that point we'll make that happen,
21 thank you.

22 Any other technical or procedural issues we
23 need?

24 So we've got some technical -- we've got a
25 lot of demonstrative aids in the room. We have

0086

1 projectors going on the screen to present Power Points
2 or other information, we have a printable white board.
3 So for those of you who are describing what's going on
4 in these documents, you have identified them as exhibits
5 to your testimony, but if you have other information, we
6 need to somehow identify them or mark them so they will
7 be in the record, and make sure that you describe what's
8 going on.

9 So I think with that, unless there's anything
10 else we need to talk about, I will turn it over to
11 Mr. Greene.

12 Mr. Greene.

13 MR. GREENE: Thank you, Your Honor. What I
14 have on the screen in front of us should be my Exhibit
15 Number 2, MG-2 I believe it is. It doesn't appear that
16 the resolution because of the size of this exhibit is
17 going to work too well on the screen.

18 JUDGE RENDAHL: Actually, just for
19 clarification, my MG-2 is the map, the rate center
20 coverage description. I think what you have is MG-3.

21 MR. GREENE: MG-3.

22 JUDGE RENDAHL: Is that correct?

23 MR. GREENE: Yes.

24 JUDGE RENDAHL: Let's be off the record for a
25 moment.

0087

1 (Discussion off the record.)

2 JUDGE RENDAHL: We've got a very large
3 printout of what you submitted as your Exhibit MG-3. Go
4 ahead.

5 MR. GREENE: So what I would like to do is
6 maybe take a few moments to step through this diagram.
7 The genesis of this diagram was a technical conference
8 that Level 3 and Qwest had in Oregon where we spent a
9 good part of I guess a day and a half really mapping out
10 our architectures. The architecture that Level 3
11 employs really is no different from a technical
12 standpoint of view from state to state. Obviously the
13 geographies will differ. The size of the network may
14 differ depending upon how many users are using that
15 network.

16 I will start with the diagram from the left
17 and move to the right. What we have exhibited is the
18 three different ways that we exchange traffic with
19 Qwest. I think this is instrumental to this case
20 because that's where a large part of the dispute lies is
21 I believe whether or not Qwest considers or Level 3
22 considers the methods in which we exchange traffic to be
23 proper, and then consequently what is the settlement due
24 to either company based upon the exchange of that
25 traffic.

0088

1 What we tried to capture in the boxes to the
2 left-hand portion of the diagram is a description of
3 what is commonly referred to as the Public Switch
4 Telephone Network or PSTN. Qwest is the incumbent
5 carrier diagrammed here, and we show the relationship
6 between an end office and a tandem switch and in certain
7 cases where Level 3 has directly connected to an end
8 office.

9 If we look at the box in the upper left-hand
10 corner, it details the Seattle area where there are
11 three Qwest switches in that box, one switch subtending
12 a tandem that is the STTLWA03DS0, that series of letters
13 and numbers is referred to as a CLLI code, it is an
14 identifier code that helps telecommunications carriers
15 understand where a piece of equipment is and what type
16 of equipment it is.

17 JUDGE RENDAHL: Okay, CLLI meaning C-L-L-I?

18 MR. GREENE: Correct.

19 JUDGE RENDAHL: And so the Chairman of the
20 Commission has a sign in his office that says this is an
21 acronym free zone. Now the Commissioners are ultimately
22 going to be getting the information in this case I'm
23 assuming, so as much as we can today because this is a
24 technical conference, if there is an acronym that you're
25 using if you can describe what the acronym is and try to

0089

1 avoid the acronym, that's great. Now I understand in
2 telecom this is very difficult, but that's a goal for
3 today. Thank you.

4 MR. GREENE: Thank you.

5 JUDGE RENDAHL: And what does CLLI stand for,
6 does anyone remember?

7 MR. LINSE: Common language location
8 identifier.

9 JUDGE RENDAHL: Common language location
10 identifier.

11 MR. GREENE: Telecordia, which is a company,
12 call it a third party company, administers a database
13 referred to as the LERG, which is the local exchange
14 routing guide. The combination of that database, the
15 LERG database, and CLLI codes again helps carriers
16 understand these identifier codes, and they are really
17 used to identify where again a piece of equipment is and
18 then what type of equipment is there. The first eight
19 characters of a CLLI code identify the physical
20 location, and then the last three characters identify
21 the type of equipment that is at that particular
22 location.

23 So going back to the diagram, you will see
24 that there are a number of different CLLI codes, and
25 using those CLLI codes we could actually look up the

0090

1 addresses for those various pieces of equipment that are
2 listed here on the diagram. Just I guess to keep the
3 diagram a little bit easier to read, we did not put the
4 exact addresses on there. But that box that is labeled
5 Seattle LCA, everything that is inside of that box is
6 inside of the Seattle local calling area or LCA.

7 Going down the diagram, we are basically
8 demonstrating the same type of architecture in Spokane
9 as an example. And then the bottom two boxes are
10 demonstrating what Level 3 believes is NXX. I
11 understand that Qwest has a different definition of the
12 NXX, I'm sure we'll spend perhaps a little bit of time
13 on that today. But in the definition of Level 3, we
14 consider something to be virtual network services where
15 Level 3 does not have any of its infrastructure in the
16 local calling area to serve those customers. So then
17 that would be the case of Pasco. That location is
18 served by a Qwest end office switch. Qwest backhauls
19 that traffic from the Pasco local calling area and hands
20 it off to us in the Yakima local calling area.

21 In each of these boxes where Level 3 has a
22 presence, we have established what we commonly call in
23 the industry a POI or a point of interconnection. It is
24 a physical demarcation point where Level 3 and Qwest
25 exchange traffic. Level 3 is responsible for building

0091

1 its facilities to that POI. We either, as in the case
2 of Seattle, may build our own fiber to that POI, or in
3 other areas such as Yakima as an example, we may lease
4 the circuit from another carrier. But in both of those
5 cases we are responsible for the financial and
6 operational aspects of that infrastructure.

7 JUDGE RENDAHL: Mr. Greene, just so I
8 understand the diagram, the red line between the Yakima
9 LCA where the equipment is labeled Qwest MUX, there's a
10 red line that goes to a Level 3 MUX and a Seattle LCA
11 and it's indicated as a DTT or I understand direct
12 transport trunking; is that correct?

13 MR. SMITH: Direct trunk transport.

14 JUDGE RENDAHL: Okay, got it reversed, okay,
15 so direct trunk transport. And is that red line direct
16 trunk transport a leased element?

17 MR. GREENE: Actually, in the state of
18 Washington, no, it's not, let me stand corrected, I was
19 trying to talk without looking at the diagram. I just
20 stated that we had a POI in Yakima, I should have used
21 Spokane as an example of where we have a POI or point of
22 interconnection, and we pay for the circuit. So in the
23 diagram it should be labeled in I believe a blue color
24 as Level 3 network.

25 JUDGE RENDAHL: So instead of having a red

0092

1 line from the Qwest MUX in Yakima to the Level 3 MUX in
2 Seattle, it should be a blue line that indicates Level 3
3 network?

4 MR. GREENE: No, I was misspoken when I said
5 we had a POI in Yakima.

6 JUDGE RENDAHL: Okay.

7 MR. GREENE: It should be what is on the
8 diagram in the room is sort of a purple color, it may be
9 red depending upon how it printed elsewhere, but that is
10 direct trunk transport, it is a jointly provisioned
11 circuit between Level 3 and Qwest so that traffic from
12 the Yakima office would route directly to Level 3.

13 JUDGE RENDAHL: I guess I'm confused, the
14 line should not go from Yakima to Seattle?

15 MR. GREENE: No, the chart is correct, my
16 description of it a moment ago was incorrect.

17 JUDGE RENDAHL: Okay, thank you.

18 MR. GREENE: So I will take a moment and
19 explain those two sort of -- those two links. Up to the
20 POI in the case of Seattle and Spokane on this diagram,
21 Level 3 is responsible for that network and that
22 infrastructure. On the other side of the POI once you
23 cross the boundaries of the POI so to speak, Qwest is
24 responsible for that infrastructure. The purple lines
25 that are on the diagram designate where again our two

0093

1 companies have worked together to provision a circuit
2 that directly connects from an end office switch or in
3 some cases a tandem switch back to the Level 3 network.
4 It provides the most efficient route for traffic. In a
5 case where we directly connect to an end office switch,
6 it is not necessary to use the tandem switch to move
7 that traffic to Level 3. The end office switch has the
8 intelligence built into it to put that traffic that is
9 destined to Level 3 directly onto that trunk that goes
10 back to our network.

11 MR. WILLIAMSON: Can I clarify something to
12 you while you're there at a particular point, it's also
13 a POI at the Seattle location, the Seattle box; is that
14 correct?

15 MR. GREENE: That is correct.

16 MR. WILLIAMSON: And the activity from Pasco
17 to get to the POI at Spokane actually passes through
18 your facilities at Yakima?

19 MR. GREENE: Actually, that's Qwest
20 facilities in Yakima.

21 MR. WILLIAMSON: I'm sorry, from Qwest
22 facilities at Yakima to your POI in Seattle and then
23 back over jointly provisioned facilities to Yakima; is
24 that right?

25 MR. GREENE: Correct, that is correct.

0094

1 MR. WILLIAMSON: Okay. And then whatever
2 call happens to the tandem there, that's how it gets to
3 the tandem from -- maybe when you get through with this
4 we should do some functional explanation of how a call
5 actually flows through this diagram.

6 MR. GREENE: Absolutely, I will get to that,
7 I want to just maybe explain the boxes, and then we can
8 sort of step through that.

9 But so again really on the left is the PSTN,
10 and we can spend some more time talking about, and
11 perhaps it would be better if Mr. Linse were to assist
12 in describing the relationship between end offices and
13 tandems and how all that infrastructure works.

14 Sort of bridging that left-hand side of the
15 network to the right-hand side of the network is a
16 circuit that leaves our collocation facility in Seattle
17 and comes to what we refer to as a gateway facility,
18 which also happens to be located in Seattle. That is a
19 fiber connection, that blue line that goes from again
20 the Seattle collocation Level 3 over to the Level 3
21 Seattle facility, which I will commonly refer to as our
22 gateway facility. That traffic is brought over and is
23 then connected into a media gateway.

24 The media gateway on the Level 3 network
25 serves multiple functions. It has the ability to answer

0095

1 both modem calls and to allow both the connectivity in
2 and out for VoIP calls. The device is intelligent
3 enough to know that when it's a data call the modem
4 functionality should be employed and the call should
5 route down a certain path. And if it is a VoIP call,
6 that in effect some type of voice technology will be
7 deployed, it will route down a voice or VoIP path, as it
8 is in the case of the Level 3 network.

9 JUDGE RENDAHL: Okay, when you say VoIP just
10 for the record, VoIP is voice over Internet protocol?

11 MR. GREENE: That is correct.

12 JUDGE RENDAHL: Okay, so when you're
13 referring to VoIP when you're talking about the Internet
14 you mean voice?

15 MR. GREENE: Well, yes, in most instances.
16 Level 3 does offer services to interexchange carriers or
17 IXC's, traditional long distance carriers, that traffic
18 may and does traverse our network. It traverses our
19 network in an IP format. However, the call originates
20 on a normal telephone set, and it terminates on a normal
21 telephone set, sometimes referred to as IP in the middle
22 or Internet protocol in the middle. When a call is of
23 that nature, we do not consider it to be VoIP, we
24 consider it to be a traditional long distance call and
25 would be subject to access charges.

0096

1 One of the issues that we have with Qwest is
2 that we would like to use this infrastructure and this
3 network that we have in place for both types of calls,
4 actually really three types of traffic if you consider
5 that ISP bound is one type of traffic, VoIP is a second
6 set of traffic, and then long distance or interexchange
7 carrier traffic would be that third type. And we feel
8 that there are different settlement mechanisms that
9 should apply to each of those, and that is one of the
10 key issues that's in contention in this case, and I will
11 talk to our position on that in a few moments.

12 JUDGE RENDAHL: Okay, I would like to avoid
13 as much as we can using this technical conference as a
14 basis for making argument, because we are going to have
15 an evidentiary hearing where you all will have the
16 opportunity to make your arguments about particular
17 issues in the case. My goal today is just to have
18 everyone educated on the technical aspects so we can get
19 to the hearing and understand what you're talking about.

20 MR. GREENE: Fair enough.

21 So continuing to the right side of the
22 diagram, and I will for the moment describe an ISP bound
23 call, the network diagram has all the elements that
24 support both VoIP calls and ISP bound calls, but I will
25 go through the elements for an ISP bound call, trace out

0097

1 the path of that call to the various pieces of equipment
2 and then move to VoIP for clarity's sake.

3 So as that call comes over the media gateway,
4 again it can function as either a data device providing
5 modem functionality or as a voice device. If it is a
6 data call, that media gateway would know to accept that
7 call on that particular line because it got some
8 information from our soft switch. In a traditional PSTN
9 network, the ports that allow traffic in and off of a
10 switch and the switching matrix are typically contained
11 in one box where you will have an ingress and egress
12 port, and then you will have a switch matrix that
13 provides functionality to connect a call between those
14 particular ports.

15 In the Level 3 network because of
16 efficiencies with newer technology, we have separated
17 out those functions so that the port capabilities of
18 getting onto the network or off the network are in one
19 device, the media gateway, and the soft switch contains
20 the intelligence that handles routing of the calls
21 between that device and the PSTN. The soft switch
22 really speaks two languages. One language, and you will
23 see a small arrow off the top of that box, is SS7 or
24 signaling system 7. It is a protocol used in the
25 industry to allow different switches to talk to one

0098

1 another and to establish a path to route a call from one
2 location to another. Our soft switch speaks to the
3 Qwest network via quad links and signal transfer points
4 or STP's that are demonstrated at the top of the
5 diagram. For clarity's sake, the SS7 links aren't shown
6 there as fully established links, they're simply arrows,
7 but there is actually a fully established link between
8 the soft switch and the Level 3 STP and then from the
9 Qwest STP to its various switches in its network.

10 JUDGE RENDAHL: So when you say a link, you
11 mean an actual physical line?

12 MR. GREENE: That is correct.

13 JUDGE RENDAHL: Okay.

14 MR. GREENE: Continuing further right on the
15 diagram, there are various routers that would also
16 facilitate the transfer of traffic. You will see inside
17 the Level 3 Seattle facility there is a router, that is
18 also other routers described in the diagram, they are
19 there to handle actual packets of data. The call is on
20 the left-hand side of that media gateway an
21 electromagnetic signal. It is just as any other voice
22 call would be on a voice line. When we speak into the
23 telephone, effectively the microphone in that telephone
24 is capturing the sound waves that we're generating and
25 converting them into electromagnetic pulses that are

0099

1 then put onto a copper line as various frequencies.
2 That is sometimes referred to as TDM or time division
3 multiplexing. Those basic frequencies that are on the
4 copper line or the copper loop going out to somebody's
5 house are then sort of put into time divided boxes on
6 electrical circuits that ride across carrier networks,
7 and those circuits are typically referred to as DS1 or
8 digital signal 1, also referred to as a T1, or DS3,
9 digital signal 3. A DS1 has the capacity to carry 24
10 simultaneous calls. A DS3 has the capacity to handle
11 672 simultaneous calls. And carriers use those
12 different sized circuits to aggregate things up and
13 move, you know, large amounts of traffic from one point
14 to the next. But on the left-hand side of that diagram
15 is the blue lines, the purple lines, and the solid blue
16 lines or the black lines, those circuits are made up of
17 time division multiplexed or TDM circuits. We also
18 refer to them as private lines. They're effectively a
19 dedicated circuit between one location and the next.

20 On the Level 3 side of the diagram where you
21 see dotted or dashed lines, all the communications
22 between are devised to take place in IP, or Internet
23 protocol. Internet protocol is different than time
24 division multiplexing in that it involves packets, and
25 packets can be of variable sizes, they can go to

0100

1 variable destinations, they aren't necessarily designed
2 just to go between point A and point B like a private
3 line is. A packet based upon the addressing that's
4 inside of it could go to point A or it could go to point
5 Z or it could go to point J, it really depends upon a
6 particular application.

7 Those packets are first transferred over to a
8 Level 3 RADIUS proxy server, and that device -- and
9 RADIUS stands for remote access user identification, I'm
10 forgetting, we can look that up, but RADIUS is actually
11 an acronym and I apologize for not knowing the full
12 description of that. Nobody else wants to jump in and
13 help out, but it is effectively a protocol for the
14 authentication of users. It's the device that listens
15 for your user name and password and validates that that
16 combination is correct. Proxy means is that we sort of
17 store that information temporarily. It is stored on our
18 network to facilitate faster response time to the user,
19 but ultimately as you see further down on the diagram,
20 our ISP customer who we sell a product called Managed
21 Modem Service to is ultimately responsible for the
22 maintenance and management of those user names and
23 passwords.

24 Once the user is authenticated, then they are
25 allowed access out onto the Internet, and they could,

0101

1 you know, employ a number of different services, be
2 they're going to Amazon to shop for a book, be it they
3 actually connect with a E-mail server to check their
4 E-mail or perhaps even a file server where they may
5 download some music files or some other utility.

6 JUDGE RENDAHL: Mr. Greene, on my version
7 which I was sent with the initial testimony that was
8 filed, and it has colors so I can tell the difference,
9 there is a series of darker blue dotted lines that
10 appears to connect just Level 3 equipment, and then
11 there are lighter blue lines that seem to go out
12 generally into the broader Internet. Is that an
13 indication of Level 3 Internet owned facilities versus
14 other Internet facilities?

15 MR. GREENE: Yes, it is.

16 JUDGE RENDAHL: Okay.

17 MR. GREENE: So some of the facilities are
18 what we consider to be on our backbone or on, physically
19 on the Level 3 network. Those packets, however, may
20 leave the Level 3 backbone, go to the backbone of
21 another provider or go to the unique network of either
22 our customer or to let's say an Internet service
23 provider that housed the content that the ISP customer
24 is trying to reach.

25 There is one exception, and I will talk to

0102

1 this in the call path, AOL is a major customer of ours,
2 I believe they're also a major customer of Qwest.
3 Instead of having their traffic go directly onto the
4 Internet as most of our other ISP customers do, AOL
5 requested that traffic first goes to them, and then they
6 actually route it onto the Internet. So there is a
7 slight difference, but because of the size of America on
8 Line or AOL, we thought it important to diagram that
9 small difference there.

10 So let me maybe try and string all this
11 together in the context of an ISP bound call and trace
12 out the call path. Hopefully you have the diagrams and
13 the testimony, Mr. Cecil can keep me honest, where we
14 did attempt to with letters and numbers sort of map this
15 out. I will follow that, and I believe it would go
16 across two different exhibits where again the call would
17 traverse the PSTN and then traverse the Level 3 network.

18 JUDGE RENDAHL: Okay, now those diagrams are
19 in a confidential exhibit, MG-5a and MG-5b and I guess
20 my question is, is this description of how things
21 traverse the network confidential?

22 MR. GREENE: No, it's not. I will be able to
23 generically describe it, and perhaps at a break we can
24 take a look at that, we may be able to waive
25 confidentiality on that.

0103

1 JUDGE RENDAHL: On that exhibit.

2 MR. GREENE: On that exhibit to keep the
3 record clean.

4 JUDGE RENDAHL: Okay, so you're essentially
5 going to be describing what's included in Exhibit 5a and
6 b.

7 MR. GREENE: I believe so, yes.

8 JUDGE RENDAHL: Okay, and that's MG-5a and b.

9 MR. GREENE: So what happens is, and let's
10 just take a user in Seattle, and let's assume that user
11 is in the bottom left-hand corner of that Seattle
12 diagram, their computer is connected to let's say they
13 have a second line in their house, that second line is
14 connected to the Qwest switch STTLWA04DS0. And you will
15 see on the diagram there, there is a computer and a
16 modem. The modem would attach to a normal phone line
17 just like anybody would have for their phone service.
18 It could be inside of their computer, or it could simply
19 sit outside of the computer. The modem just like a
20 phone when you pick up the receiver effectively goes off
21 hook. It completes the circuit. There are two,
22 effectively two wires coming into the house. The modem
23 completes that circuit, and that signals to the Qwest
24 switch that the end user wishes to make a call.

25 The switch will generate a tone, actually

0104

1 it's a combination of tones, and part of that is really
2 just a human factors thing, you know. If we picked up
3 the phone and didn't hear anything, we wouldn't have any
4 real indication that it was working, so the switch sends
5 these tones down to us so that we can hear that the
6 system is working. Most modem manufacturers also allow
7 this first part of the conversation to be heard by the
8 user, so they have hit, you know, log on on their
9 Internet software, and they want to know that something
10 is happening, because this process may take 30 or 40
11 seconds to actually complete. Dial tones will be
12 generated. The computer modem will actually outpost
13 tones that the Qwest switch listens for, and,
14 Mr. Wilson, keep me honest here, DTMF is?

15 MR. WILSON: Dual tone multifrequency.

16 MR. GREENE: Dual tone multifrequency, which
17 is effectively if you play the piano it's effectively a
18 chord, it's two notes together or two frequencies played
19 at the same time that represent the numbers zero through
20 nine and the asterisk and the pound key that you see on
21 your phone. So the modem, which will have a number
22 that's assigned to the customer's ISP, will output the
23 tones that represent that number. The Qwest switch
24 listening for those tones will translate them into
25 physical numbers and do a look up to see where should

0105

1 that number route to, and that number being representing
2 a call that is being attempted.

3 The Qwest switch through the SS7 signaling
4 system network will send out a request to understand the
5 routing. The SS7 network of Qwest will then communicate
6 to the SS7 network of Level 3 via our soft switches and
7 effectively say, hey, I have a user that's trying to
8 make a call to this number, where should I send it. And
9 our network will send back a message that says, great, I
10 got your message, please send the call here, which
11 effectively tells the Qwest switch which trunk line to
12 put it on.

13 A trunk is typically referred to as a single
14 line or a single circuit or something that has the
15 capacity to carry one call. So if you recall back a few
16 moments ago, I talked about a DS1 has a capacity of 24
17 calls, we will also describe that as 24 trunks, so I may
18 use those terms interchangeably. We have -- we may have
19 filed this confidentially or under a confidential seal,
20 but I will waive confidentiality on it, Level 3 and
21 Qwest have a little over 35,000 trunks in place today
22 between our two networks, so it is a very large network.

23 Once that message --

24 MR. WILLIAMSON: I'm sorry, was that the
25 state of Washington, or was that your whole network?

0106

1 MR. GREENE: That is just the state of
2 Washington. Level 3 has approximately 1.8 million
3 trunks in service in the United States, and every day
4 approximately 1 billion minutes of use of ISP bound
5 traffic come to our network.

6 JUDGE RENDAHL: So when you're referring to,
7 as you just said, to the number of trunks in Washington
8 and then service in the United States, you're referring
9 to the one call DS0 level line?

10 MR. GREENE: That is correct.

11 JUDGE RENDAHL: Okay.

12 MR. WILLIAMSON: And, I'm sorry, one more
13 clarification, those are local interconnection service
14 trunks from Qwest, LIS trunks?

15 MR. GREENE: They are, the 35,000 trunks are,
16 yes, they are.

17 MR. WILLIAMSON: And the red line, well, I
18 guess the red and black line all the way from the Qwest
19 switch to your media gateway are LIS trunks?

20 MR. GREENE: No, they are only LIS trunks
21 from the POI back to the Qwest switch. LIS or local
22 interconnection service is the product name that Qwest
23 has for the service that they offer to CLECs that
24 facilitates the exchange of traffic between a CLEC's
25 network and Qwest's network. Again from an efficiency

0107

1 standpoint of view, carriers would like to switch a call
2 or run it through a switch as few times as possible, it
3 saves on capital and expense. So in the case of this
4 particular call that's coming from the Seattle
5 Washington 04 DS0 switch, we have a LIS trunk, a local
6 interexchange trunk, also referred to as a direct end
7 office trunk or DEOT, which has a component of direct
8 trunk transport. So I could probably put a riddle
9 together with all those acronyms, but I think I will
10 avoid doing that. And again, I think throughout the day
11 you will hear us use those words interchangeably, direct
12 trunk transport, DEOT, and LIS, they all are referring
13 to the same thing.

14 JUDGE RENDAHL: They all provide transport
15 between one switch to another?

16 MR. GREENE: Correct, and probably more
17 accurately stated between a Qwest switch and a CLEC POI.

18 JUDGE RENDAHL: Okay. And just to clarify,
19 the difference between direct end office trunking and
20 direct trunk transport is just one is connecting an end
21 office, and if it doesn't connect an end office, then it
22 may be direct trunk transport?

23 MR. GREENE: Not exactly. The way that the
24 LIS service works, it has a couple of different
25 components associated with it. The actual physical pipe

0108

1 is referred to as a direct end office trunk. How that
2 -- how charges may be applied to that trunk are broken
3 up into various categories, one of which is direct trunk
4 transport. There are -- if you look in the Qwest tariff
5 or SGAT, there is also charges for MUXing or
6 multiplexing, which is the aggregation of smaller
7 circuits. So as an example, a DS3, which I mentioned
8 earlier has 672 direct lines on it, but the way that it
9 gets to 672 is that it is in fact 28 T1's that are
10 aggregated together to form a DS3, so you have 28 times
11 24 equal to 672.

12 JUDGE RENDAHL: Okay, so --

13 MR. GREENE: This is how that hierarchy
14 works, so there's direct trunk transport, there's
15 MUXing, and there's entrance facilities. When we refer
16 to direct trunk transport, we would be most accurate in
17 describing that as the transport cost component of the
18 LIS tariff, and I will defer to Qwest if you like if I
19 don't have that accurate.

20 JUDGE RENDAHL: Okay, when we get to Qwest,
21 maybe I can clarify more of these, I'm just trying to --
22 it helps to know that direct end office transport is
23 sort of the family of those other elements, so we'll --

24 MR. GREENE: Direct end office trunk is the
25 actual family or facility. Inside of that there would

0109

1 be direct trunk transport, there may be an entrance
2 facility charge, there may be MUXing charges.

3 JUDGE RENDAHL: That helps, thank you.

4 MR. GREENE: And then there's another acronym
5 that also applies to that whole family, which is RUF or
6 relative use factor, which governs who pays for those
7 components based upon the exchange of traffic.

8 JUDGE RENDAHL: Okay.

9 MR. GREENE: So the soft switch on a Level 3
10 side has signaled to the Qwest network, hey, send the
11 call here. Our soft switch would also signal to our
12 media gateway, expect a call to come in on this
13 particular channel. That call would then be physically
14 routed by the Qwest end office switch. The ingress port
15 would be the line side card pointing toward the
16 customer. The egress port would be that direct end
17 office trunk coming back to Level 3, which is that
18 purple line. That purple line would go to a MUX, you
19 know, let's assume that it's just a DS1 or one T1 out to
20 that end office. Those services are aggregated up into
21 a higher level, so that's why that MUX or multiplexer is
22 there because when you have multiple DS1's getting
23 aggregated up into DS3's.

24 JUDGE RENDAHL: There are two MUX's in that
25 little square, one is Qwest and one is Level 3, so it's

0110

1 first going to go to the Qwest MUX.

2 MR. GREENE: Correct.

3 JUDGE RENDAHL: Okay.

4 MR. GREENE: And that, as you can see, that
5 MUX has multiple lines coming into it, and then the
6 Level 3 MUX has also multiple lines into it, so these
7 multiplexes are just boxes that are allowing for the
8 aggregation of services onto higher speed circuits.

9 From there, which -- and all this at this
10 point has happened in our collocation facility, the call is
11 traversing a private line, in this case an optical
12 private line between our collocation and our Seattle
13 gateway, where it is so to speak from a modem standpoint
14 of view connected with a customer's modem. So our media
15 gateway again will in the case of a data call or an ISP
16 bound call, and ISP is Internet service provider, I'm
17 not sure that I said that earlier, is going to then go
18 through a handshaking process with a customer's modem.

19 And if you have ever experienced a dial-up
20 connection, you have probably heard a lot of squealing
21 and screeching that the computer seems to be making,
22 again that's a sort of a human factors feedback that
23 something is happening. But what the modems are doing
24 there is effectively signaling back and forth with one
25 another to establish how they're going to handle error

0111

1 correction if there's interference on the line that they
2 could introduce errors and the modems need to be able to
3 deal with that. They're also negotiating the speed of
4 the link, how fast they can transmit information back
5 and forth without a certain number of errors. And that
6 handshaking process will take a few seconds to occur.

7 Once that happens, the user software on their
8 computer will then forward in a RADIUS protocol, which
9 Mr. Cecil has been able to help me out with, the acronym
10 stands for remote authentication dialing service, but
11 it's a protocol that is responsible for the security
12 authentication of users. The user name and password
13 would be sent across the modem link, it would traverse
14 our media gateway, it would follow the dotted lines
15 through the various routers and land on the Level 3
16 proxy RADIUS server. That server has a connection out
17 to our ISP customer server to validate that the user has
18 the appropriate privileges to get onto the network.
19 That server then sends a signal back all the way back to
20 the user's software to say yes, in this case you are
21 authenticated and you are able to access the network.

22 Assuming that the user wanted to first shop
23 on Amazon, they could launch their Web browser. Their
24 Web browser would then send a request out to the
25 Internet. We did not diagram the entire functioning of

0112

1 the Internet, but effectively I will try and do it
2 shortly. When you type in Amazon.com as an English name
3 or word that we understand, that has to get translated
4 into a series of numbers or an IP address so that the
5 software knows where to route packets to to get the
6 information that is being requested. So that
7 translation happens, and those various protocol
8 conversions happen, and then the user would be connected
9 with the Web page Amazon.com, which could be anywhere on
10 the Internet. At the next moment they could launch
11 their E-mail service or E-mail in-box and then perhaps
12 be connected to another device to download their E-mail.

13 I won't go through all the complexities, but
14 there are various protocols that happen, you know,
15 throughout this whole process. There's, you know,
16 digital signal protocols, the SONET which is the
17 protocol, synchronous optical networking, which governs
18 how optical services work and self healing services
19 work. There's various Internet protocols, if you look
20 at the listing on the Web page it says first HTTP, which
21 is hyper text transport protocol, and it's a method to
22 exchange information concerning Web pages. E-mail works
23 on another protocol called SMTP, which is simple mail
24 transport protocol. And all of these things work
25 together to provide a usable service or utility commonly

0113

1 referred to as the Internet for users.

2 I guess are there any questions on the ISP
3 bound call, because I can go to VoIP next.

4 MR. WILLIAMSON: I do have one. In your
5 drawing you show a managed modem customer network, is
6 that where the modem, where all modems are kept? I mean
7 does the customer have their own modem, or are there
8 modems that you have that the customer buys the use of
9 from you?

10 MR. GREENE: What you're referring to sort of
11 in the middle of the diagram is the managed modem
12 customer network. Managed modem is our product name,
13 actually the formal name is 3 Connect Managed Modem. We
14 call it managed modem because Level 3 manages the
15 modems. Our customers do not have their own modems,
16 they are effectively buying a bundle of services from
17 us. That bundle includes interconnection or access to
18 the public switch telephone network. It includes the
19 modem functionality that I just described happening as
20 part of the media gateway. It also for the majority of
21 our customers, AOL is the exception, it actually also
22 includes access to the Internet. So our ISP customers
23 can really focus on the marketing and customer retention
24 aspects of their business, and they effectively
25 outsource the infrastructure component of that to us, a

0114

1 company like us or a company like Qwest.

2 MR. WILLIAMSON: Are all the modems that your
3 customers access in the state of Washington, are they
4 all in Seattle?

5 MR. GREENE: That is correct, all the modems
6 that Level 3 uses are in Seattle, and actually Seattle
7 serves the Pacific Northwest. Our customers in Oregon
8 are using the modems in Seattle, and Idaho and Montana
9 are also using the modems in Seattle. We have
10 aggregated that modem functionality in a number of key
11 areas throughout the United States. There are 13 main
12 areas where we aggregate our modem functionality and
13 serve usually a multistate area with those modems. In
14 the Qwest territory, Seattle, Denver, and Phoenix are
15 the main aggregation points, and we serve the
16 predominance of the Qwest 14 states through those 3
17 areas.

18 The reason, and it's actually a good point, I
19 think it's somewhat important, is one, I mentioned
20 earlier Level 3 has 1 billion minutes of use that's in
21 its network every single day. We feel we're a vital
22 component to the utility of Internet or dial Internet
23 access here in the United States. The only way that we
24 were able to do that has been through the aggregation of
25 these devices and being able to deploy new technology

0115

1 that has the capacity to deal with a number of calls at
2 one time.

3 And that aggregation is important, one,
4 because we have quite frankly a lower cost per unit
5 because we have bigger boxes that handle more calls that
6 we can put in one place. There's also a lower
7 operational expense, we don't have to have technicians
8 with spare parts and trucks running across the country
9 to try and serve modems all around the nation.

10 We have talked with analysts and we have
11 talked with our customers, we estimate that 90% of the
12 dial-up access that happens in the United States is
13 performed through wholesale carriers such as Level 3,
14 Qwest, and Verizon business which was formerly Union
15 Net, we are effectively, our three companies are the
16 predominant majority of the mechanism or utility that
17 ISP's use and then somewhat indirectly customers use to
18 access the Internet through dial-up.

19 And that's why this case is so important to
20 us because, again not getting into the advocacy of it,
21 but we obviously have a difference of opinion on whether
22 or not our architecture is a valid one. We have had
23 this architecture in place since 1999 here in
24 Washington, so it has been a service for a number of
25 years and operating and growing, and actually at this

0116

1 point somewhat shrinking. It is widely known through
2 analyst reports and other things that the dial-up market
3 is a shrinking market. People are moving to cable
4 broadband services, DSL services, because they want a
5 faster pipe and the ability to use other applications
6 that are on the Internet such as streaming video or
7 streaming music and other things that require more
8 bandwidth than a simple dial-up connection can deploy.
9 What we have found though is that that shrinking is
10 generally concentrated in urban areas where other
11 providers have built out their network, and we don't see
12 as fast a decline in the rural areas where there aren't
13 competitive choices for dial-up access for end users, so
14 having nowhere to migrate to, they simply aren't.

15 MR. WILLIAMSON: One or two more. And you
16 mentioned rural areas, if a customer made a modem call
17 from outside the Seattle LCA local calling area, could
18 you, and not one of the ones you have on your diagram,
19 could you explain how that would get to you?

20 MR. GREENE: Sure, why don't we maybe use the
21 Pasco, and I'm not sure that Pasco is a major urban
22 center or not in Washington, I apologize for my lack of
23 geography, but that may be a town where there may be
24 just say one Qwest switch serving that end office. In
25 the case of Pasco here in Washington, we do not have

0117

1 either direct trunk transport or a point of
2 interconnection located in that area. What happens
3 there is that again the Qwest switch is signaling out to
4 the network how to route this call, and the network
5 signals back, well, you have to route that call by first
6 sending it to this other switch. So the Pasco switch
7 would then send the call to the Yakima switch, and then
8 the Yakima switch would then put it onto a direct end
9 office trunk to bring it back to Level 3.

10 JUDGE RENDAHL: In Seattle?

11 MR. GREENE: In Seattle, correct.

12 MR. WILLIAMSON: And here's where it gets a
13 little confusing, I think you have said or you have said
14 in testimony that there's one POI per LATA; did I
15 misquote that?

16 MR. GREENE: We have certainly said that in
17 testimony. We have multiple POI's in Seattle. Between
18 our interconnections with Qwest, Verizon, and Sprint, we
19 have I believe 15 different POI's or points of
20 interconnection in the state of Washington, I'm sorry, I
21 just said Seattle. I would have to pull it up, I don't
22 have it right in front of me, but I believe we have
23 POI's in Spokane, we have POI's in Seattle, we have a
24 POI in Tacoma, I believe there's a POI in Walla Walla
25 and I believe one or two others, but I can get you that

0118

1 exact list. So but there is because of our network
2 needs the establishment of POI's in other areas.

3 When we establish a point of interconnection,
4 we are not simply doing that for the exchange of
5 traffic. Often times, and this should also be in my
6 testimony, we're serving some of our business or other
7 wholesale customers. So we will take a large circuit
8 out, use part of that circuit to establish a point of
9 interconnection to exchange local traffic with Qwest,
10 and then we would use the other part of that circuit to
11 have loops or direct connections to our customer
12 facilities in that area as well. So as we build out and
13 expand our network, we're doing it for multiple purposes
14 and not just simply the exchange of traffic.

15 We have taken a position not just in this
16 state but in others of where we can -- where we have
17 extended our network, we do like to get the traffic on
18 our network as quickly as possible, because we are under
19 service level agreements or SLA restraints in our
20 contracts with our customers which obligate us to have a
21 certain amount of up time, meaning that the network
22 needs to be available 99% of the time. If it fails, it
23 needs to be repaired in less than four hours and other
24 constraints as that. And if we, you know, relied solely
25 upon other carriers for that, it would be very difficult

0119

1 for us to live up to those SLA requirements in our
2 contracts with our customers. So we have established
3 multiple POI's throughout the various LATA's.

4 MR. WILLIAMSON: And I apologize, because you
5 probably don't know that Pasco and Spokane are in the
6 Eastern Washington LATA, not the western side, but I
7 guess my question was leading up to in this case Pasco
8 and Yakima do not go to the POI in Eastern Washington,
9 which is in Spokane, but go directly to the POI in
10 Seattle?

11 MR. GREENE: That's how, when we did the
12 research of how the network is architected, that's what
13 the inventory systems told us. What we have found, and
14 I think this is a general variable and there might be
15 some disagreement with this, but as telecommunications
16 networks have evolved, and certainly again one of the
17 reasons why we have aggregated our facilities, is that
18 transport has become the minority cost component
19 compared to switching, and so you're able to use a lot
20 of transport in the network to bring things back to a
21 central location.

22 So instead of having to put, you know,
23 switches out everywhere, and I guess another component
24 of that is transport has also become much more reliable,
25 and Mr. Wilson can keep me honest here, but 30 or 40

0120

1 years ago transport was somewhat unreliable. You had
2 microwave communications that established links that
3 could be affected by weather. They were very expensive
4 to put up and maintain. And you had to deal with that
5 in your architecture, and the way to deal with that was
6 to put intelligence further out into the network,
7 because the network had to have the ability to route
8 around problems.

9 There was also physical limitations where you
10 had what's commonly referred to as signal attenuation.
11 If you recall, that voice conversation is literally an
12 electromagnetic signal or frequency that's put out into
13 the line. The longer that line is, the softer that
14 signal gets. If the line is too long, the device on the
15 other end just simply can't hear it, and so you had to
16 have things closer together. As I understand it, that
17 led to an architecture we see in the PSTN today where
18 you have end office switches that are located, you know,
19 near, very close to customers, and then you begin to
20 aggregate those things up through tandem switches and
21 other things.

22 When Level 3 began to design its network in
23 the late '90's, we didn't have the same constraints
24 around the reliability and cost of transport. We also
25 had the ability to use at the time a newer technology

0121

1 available to us in the essence of Internet protocol and
2 its ability to really put even more intelligence into
3 the network by having packets that can go to any
4 destination based upon its address versus having hard
5 and fast connections between two locations. Those, you
6 know, economic variables plus the technology available
7 to us at the time caused us to design our network in
8 this manner. I think if you look at other, you know,
9 recently built telecommunications networks, Qwest's long
10 distance network does not put switches out in every
11 local calling area, they aggregate those switches and
12 points and use transport to bring those calls back. So
13 that architecture in modern times has been replicated,
14 you know, certainly not just by us but by other
15 carriers.

16 JUDGE RENDAHL: I'm just going to start to
17 get concerned about time here, and at our break I need
18 to talk about how much time we estimate per person, and
19 so if you can limit your response to the technical
20 question that somebody is asking, then that would be
21 helpful. Go ahead.

22 MR. GREENE: Understood.

23 MR. WILLIAMSON: Just another clarification,
24 from the Qwest tandem at Yakima, your call would flow
25 over LIS trunks to the Seattle POI according to your

0122

1 diagram; is that correct?

2 MR. GREENE: That is correct.

3 JUDGE RENDAHL: And when you say LAS, what do
4 you mean?

5 MR. WILLIAMSON: Local inter --

6 JUDGE RENDAHL: Oh, LIS?

7 MR. WILLIAMSON: LIS.

8 JUDGE RENDAHL: I thought I hear LAS.

9 MR. WILLIAMSON: I'm sorry, LIS.

10 MR. GREENE: LIS trunk.

11 MR. WILLIAMSON: LIS trunk.

12 And a customer in some other town than Pasco
13 that is served by the Qwest tandem would follow the same
14 flow if they make a call to one of the numbers that you
15 own?

16 MR. GREENE: That is correct. It might be
17 helpful if I did -- and I believe it's -- which exhibit
18 is the map?

19 JUDGE RENDAHL: It's MG-2, and it's a
20 confidential exhibit.

21 MR. GREENE: I will be willing to waive
22 confidentiality on that.

23 JUDGE RENDAHL: Do you want to talk to your
24 attorney about that quickly.

25 Let's be off the record for a moment.

0123

1 (Discussion off the record.)

2 JUDGE RENDAHL: First question is, what are
3 we doing about confidentiality of this exhibit?

4 MR. GREENE: We did waive confidentiality in
5 other states on a similar exhibit, and after discussing
6 with my counsel, we will waive confidentiality here.

7 JUDGE RENDAHL: Okay, so for purposes of
8 what's been marked as Exhibit MG-2, it is not designated
9 as confidential or should not be designated as
10 confidential?

11 I'm seeing a nod.

12 MR. CECIL: Correct.

13 MR. SMITH: We're talking the map of
14 Washington?

15 JUDGE RENDAHL: Correct, and this was filed
16 with Mr. Greene's testimony marked as Exhibit MG-2.

17 Okay, go ahead, Mr. Greene.

18 MR. GREENE: So in an attempt to sort of
19 quickly answer the question here, what we have done with
20 this map is attempted to break traffic out in the
21 localities out into the various categories. The green
22 shaded area is things that are local to our modems, our
23 media gateway, the device that provides the modem
24 functionality.

25 JUDGE RENDAHL: Mr. Greene, actually the

0124

1 exhibit that we have as MG-2 is slightly different, it
2 doesn't have all the color gradations that you have
3 here.

4 Lets be off the record for a moment.

5 (Discussion off the record.)

6 JUDGE RENDAHL: After some discussion, both
7 what's been marked as MG-2 in Mr. Greene's pre-filed
8 direct testimony and the map that's up on the screen
9 right now, there is no confidential designation. The
10 map that's been designated as MG-2 doesn't have as many
11 color gradations on it, and I have asked Level 3 to
12 submit this map to all the parties, and we'll mark it as
13 MG-7.

14 MR. GREENE: So the question was, how does
15 traffic in other areas besides Pasco route to Level 3.
16 This map that we will submit as an exhibit attempts to
17 demonstrate that via various color shadings. The
18 shading in green designates rate centers that are local
19 to Level 3's media gateway. The yellow shading
20 designates rate centers that are local to a Level 3 POI
21 which would follow the architecture that's outlined for
22 the Spokane area.

23 JUDGE RENDAHL: In your Exhibit MG-3?

24 MR. GREENE: In MG-3.

25 And then the --

0125

1 JUDGE RENDAHL: I'm just trying to clarify
2 with Mr. Greene that when he talks about a yellow
3 designation on what we just marked as MG-7 he said it
4 refers to the POI for the Spokane area, which is
5 diagrammed on his Exhibit MG-2. I'm just trying to
6 clarify for the record what we're talking about as
7 demonstrative exhibits.

8 MR. GREENE: Okay.

9 And then the red or pinkish shading would
10 follow the architecture that's demonstrated in either
11 the Pasco or Yakima on the MG-3 exhibit.

12 JUDGE RENDAHL: Thank you.

13 MR. GREENE: And then the last color is the
14 gray. There are some rate centers in the Qwest
15 footprint where Level 3 does not offer its services.

16 JUDGE RENDAHL: Okay, so were you going to
17 describe how things move further based on this map?

18 MR. GREENE: No, that was all I had with this
19 map.

20 JUDGE RENDAHL: Okay. Were you going to
21 describe how a call was made from say a yellow or pink
22 area, or have you done it through MG-3 already?

23 MR. GREENE: I believe I have done it through
24 MG-3, so I described the call flow from Seattle.
25 Effectively the call flow is very similar in Spokane,

0126

1 it's just that we do not have a collocation, and then
2 there's just further distance from Spokane back to
3 Seattle if Level 3 is carrying that call. In the case
4 of Yakima, Qwest and Level 3 have put a LIS trunk from
5 the Yakima switch back to the Qwest POI. However, that
6 LIS trunk is not something that Qwest is purchasing, or
7 excuse me, that Level 3 is purchasing, and so we
8 consider it to be what is I guess described as VNXX or
9 virtual network services, because we do not have any
10 physical plant in that local calling area that we're
11 using for the exchange of that traffic.

12 JUDGE RENDAHL: Okay. Now were you going to
13 describe a VoIP call?

14 MR. GREENE: Yes, I was.

15 JUDGE RENDAHL: Okay.

16 MR. GREENE: So I will go to that next.
17 Still on MG-3, and I guess in the interests of time,
18 the --

19 JUDGE RENDAHL: Now I don't mean to rush you,
20 I just wanted to get a sense of where we were.

21 MR. GREENE: No, I don't feel rushed at all,
22 and I guess if you want me to step back, it might offer
23 some clarity, but just as that modem if you will recall
24 would pick up and seize the line to make an outbound
25 call to an ISP number, the same line could be used by a

0127

1 PSTN customer with their normal telephone handset to
2 outpulse or dial out to one of our VoIP customers. So
3 the end office switching, the tandem switching, the
4 movement of that call, the SS7 signaling, all works
5 exactly the same as it does in the ISP bound call.
6 There is no difference between the two call types.

7 The only difference is that when it gets to
8 our media gateway, it is instructed by the soft switch
9 that there is a voice call coming, so it does not begin
10 a modem handshaking process, it simply converts that
11 voice call into IP packets. The soft switch in setting
12 up that call with the media gateway also has an
13 additional step to perform, which is because that call
14 is not destined for the Internet, it needs to check in
15 with the VoIP provider's network to confirm that that
16 call can be accepted and be routed. So the Level 3 soft
17 switch connects to another device, which is the core
18 proxy server sort of in the middle of the diagram.

19 The soft switch is providing the switching
20 functionality that allows for the call communications to
21 happen between the PSTN and the Level 3 network. The
22 core proxy server is providing the routing capabilities
23 across our IP backbone, so it's responsible for moving
24 that call from one end of the backbone to the other. It
25 does -- it's important to have that device there because

0128

1 of a characteristic, multiple characteristics but most
2 important one is latency. If the -- latency simply
3 refers to delays in the call string, and if there are
4 delays in a call stream, they can manifest themselves in
5 the form of clipping, in the form of echo, or in just
6 simply taking a long time for somebody else to hear and
7 it sounds of a very low quality.

8 The core proxy server also communicates with
9 another device called the edge proxy server, and the
10 edge proxy server is responsible for effectively the
11 switching, IP switching of that call between the edge of
12 the Level 3 network and the VoIP provider's network. So
13 you really have three devices that are lined up here
14 that are providing functionalities, switching
15 functionalities, the soft switch which is one edge of
16 the Level 3 network to the PSTN, the core proxy server
17 which is the interior of the Level 3 network, and then
18 the edge proxy server which is the other edge of the
19 Level 3 network and our VoIP customer's network.

20 Our VoIP customer would also have a soft
21 switch that they would use to provide services to their
22 customer. Services such as call waiting, call
23 forwarding, other classified feature sets that would --
24 you would think of in a traditional PSTN switch, and you
25 can -- so if we were to trace this diagram out, the

0129

1 media gateway has received the call from the PSTN, the
2 soft switch has signaled through the core proxy server,
3 the edge proxy server, and the VoIP customer switch,
4 which is ultimately connected through a broadband
5 connection to the VoIP phone at the far right-hand side
6 of the diagram. All those devices work in unison to
7 provide the call path in a VoIP scenario.

8 JUDGE RENDAHL: Okay.

9 MR. GREENE: Any questions on that?

10 JUDGE RENDAHL: I don't right now.

11 MR. WILLIAMSON: Just a quick one. I noticed
12 you have a local number portability server, LNP.

13 MR. GREENE: Correct.

14 MR. WILLIAMSON: It queries for a ported
15 number for a VoIP call, do you use it at all for modem
16 also?

17 MR. GREENE: No, it's not used for modem.
18 The LNP server is actually used in the opposite
19 direction. As that VoIP handset goes off hook and looks
20 to make an outbound call, if it's destined for the PSTN,
21 we need to know how to route that number, and so we
22 actually do a LNP dip or local number portability dip,
23 which is basically checking the database to see who owns
24 the telephone number so that we can choose the
25 appropriate trunk to route the call on. But it's for

0130

1 calls in the opposite direction, which I guess is a good
2 point. This same network is facilitating traffic in
3 both directions. We consider a call to be VoIP if one
4 end of the call is an IP end point. It doesn't matter
5 the directionality of the call, it doesn't matter who is
6 calling who, so long as one end of the call is an IP end
7 point served by a broadband connection.

8 JUDGE RENDAHL: I have one question about
9 this particular exhibit, and it's just clarifying. In
10 the connection between the Seattle central office
11 collocation center, there's a private line on Level 3's
12 network that goes first to the Level 3 DACS, D-A-C-S,
13 can you explain what that is?

14 MR. GREENE: That is a digital access
15 cross-connect system. A MUX, as you recall, takes
16 DS1's, puts them up to DS3's, and perhaps DS3's
17 aggregates them up into an O23, but it's typically
18 taking sort of a many to one relationship. A DACS can
19 perform the same functions, but it has the capabilities
20 to do many to many. So in putting things through a
21 DACS, it allows us greater functionality. If you
22 recall, you have 24 DS1's that you can put onto a DS3.
23 If you wanted to put that second DS1 onto another DS3,
24 you would have to run it through a DACS to move it out
25 to that second DS3.

0131

1 JUDGE RENDAHL: Okay.

2 Do you have more in your presentation?

3 MR. GREENE: I just had one more exhibit that
4 I wanted to spend maybe five minutes on, and that was
5 it.

6 JUDGE RENDAHL: Okay, why don't we do that
7 and then take a break, and then we'll come back, and
8 Mr. Williams and I will have questions and then Qwest
9 will have questions.

10 Let's be off the record for a moment.

11 (Discussion off the record.)

12 (Recess taken.)

13 JUDGE RENDAHL: We're now talking about
14 Exhibit MG-4.

15 MR. GREENE: Yes, so I have it on the board
16 here in the room, and what this exhibit is doing, and
17 again this is one of the things that came out of our
18 technical conference we conducted in Oregon where we sat
19 at the table with Qwest and tried to work through how we
20 do things, it attempts to demonstrate the method in
21 which Level 3 employs to provide service to its ISP
22 customers and how we understand Qwest provides services
23 to its ISP customers. The bottom portion of the
24 diagram, well, I should say the majority of the bottom
25 portion of the diagram are Level 3 devices and the Level

0132

1 3 call path. The top portion of the diagram is a Qwest
2 call path.

3 JUDGE RENDAHL: So for purposes of the
4 colored version, the blue solid and dotted lines are
5 Level 3 call and signaling paths, and the black is Qwest
6 call and signaling paths?

7 MR. GREENE: That is correct.

8 JUDGE RENDAHL: Okay.

9 MR. GREENE: So this diagram is very similar
10 to the Exhibit MG-3 that we just went through from a
11 call path perspective. Here we have an end user with
12 their modem connected to a Qwest end office switch.
13 That switch, once it gets the signal to start a call
14 from a modem, would send out a signaling request through
15 the SS7 network ultimately to our soft switch. Our soft
16 swift would then tell the gateway, media gateway, to
17 expect a call on that particular trunk. The call would
18 go across the Qwest switch, it would come in on a line
19 side card, it would go out on a trunk side card. That
20 trunk would be provisioned as a LIS, I will use the term
21 LIS port but it's effectively a LIS circuit. There is
22 from that port on the switch a direct end office trunk
23 that's built out to our point of interconnection, which
24 again would have direct trunk transport components
25 associated with it. Would go across our network to our

0133

1 media gateway and then out through all the other devices
2 explained in the other diagram to the Internet. But
3 effectively you have a private line that provides the
4 transport path for the call, and you have a signaling
5 path, and the two happen to be separated.

6 With the Qwest service, again user dials
7 phone number, the switch looks to connect that call.
8 The difference there is that instead of the port being
9 provisioned as LIS, it's provisioned as PRI, and I'm not
10 sure if Qwest adopts the name PRS. PRI stands for
11 primary rate interface, PRS is Primary Rate Service,
12 which is I believe a product name that Qwest uses in
13 Washington.

14 PRI provides for both the transport and the
15 signaling inside of the same circuit. What happens is
16 in that circuit, which in effect is a T1 private line,
17 one of the trunks of the 24 is dedicated for signaling,
18 and the other 23 are used to actually carry calls. The
19 PRI signaling standard is a subset or found inside of
20 the SS7 signaling specification. And that circuit is
21 then directly connected to a network access server or
22 NAS, which in this context stands for network access
23 server. It is sometimes also referred to as network
24 attached storage, but any time that we use the acronym
25 NAS, we would be talking about network access servers.

0134

1 So as we look at it from a technical point of
2 view, Level 3 has private lines with an external
3 signaling path, Qwest has private lines with an internal
4 signaling path as we see the technical difference in the
5 way that we deliver service.

6 Any questions?

7 JUDGE RENDAHL: Not at this point on this
8 exhibit.

9 Mr. Williamson, do you have any questions on
10 this exhibit?

11 MR. WILLIAMSON: No.

12 JUDGE RENDAHL: Did you have any more overall
13 discussion you wanted to give?

14 MR. GREENE: No, I think I will conclude
15 there, and perhaps if there are questions obviously I
16 will try and answer those.

17 JUDGE RENDAHL: Okay, well, I'm going to have
18 Mr. Williamson ask any other questions he might have
19 about your overall presentation right now.

20 MR. WILLIAMSON: And I only have a couple.
21 The first one has to do with the Qwest tandem. The
22 Qwest Seattle area is a little unusual, I think that
23 they have a couple of tandems and access tandems for
24 long distance traffic and their local, and I just wanted
25 to verify that all the traffic that you pass to them

0135

1 goes on the local tandem; is that correct, do you know?

2 MR. GREENE: No, that's not necessarily true.

3 We would also pass what's sometimes referred to as JPSA
4 or jointly provided switch access, and that would be a
5 situation where somebody has called a Level 3 phone
6 number, from where they are calling from it requires an
7 interexchange carrier to transport that call, that
8 interexchange carrier is not directly connected to Level
9 3, they would drop the traffic off at the Qwest access
10 tandem, and then Qwest through its access tandem would
11 route that traffic to us over a JPSA or meet point
12 trunk.

13 MR. WILLIAMSON: Is that a VoIP call or one
14 of your other services that you talked about where
15 you --

16 MR. GREENE: It could be a VoIP call. There
17 are instances where I could be a Seattle resident, and I
18 go visit my mother in Illinois, but I don't change my
19 AOL dial in, and I go to connect to the Internet in
20 Chicago, I would actually be using my mother's long
21 distance service to call from Chicago back to Seattle.

22 MR. WILLIAMSON: Not going to be a happy
23 mother.

24 MR. GREENE: Perhaps not.

25 MR. WILLIAMSON: Are there any places in the

0136

1 Washington area where you convert at a gateway other
2 than your Seattle location and transport via IP?

3 MR. GREENE: No, the Seattle gateway is the
4 only facility in Washington.

5 MR. WILLIAMSON: That's it.

6 JUDGE RENDAHL: Wow, okay, well, I have a few
7 questions about further technical issues or definitions
8 in your testimony.

9 MR. GREENE: Okay.

10 JUDGE RENDAHL: Do you have a copy of your
11 testimony in front of you?

12 MR. GREENE: I do.

13 JUDGE RENDAHL: Okay, and what I'm referring
14 to is what's been marked as Exhibit MDG-1T, and if you
15 can turn to page 6.

16 MR. GREENE: And I have to apologize, Your
17 Honor, I don't believe my paralegal gave me the
18 exhibits.

19 MR. CECIL: Yeah, she did, I put the exhibits
20 on there.

21 MR. GREENE: Hard copy.

22 If you have another one, or we have it
23 electronically and I can put it up on the screen.

24 JUDGE RENDAHL: I don't think we need the
25 screen version.

0137

1 MR. SMITH: And, Your Honor, you're referring
2 to the original direct testimony?

3 JUDGE RENDAHL: Yes, the original direct
4 testimony, which is MDG-1T, and I understand,
5 Mr. Greene, you filed supplemental testimony designated
6 as MDG-6T.

7 So if you can refer to page 6.

8 MR. GREENE: Of 1T?

9 JUDGE RENDAHL: Of 1T.

10 MR. GREENE: All right, I'm there.

11 JUDGE RENDAHL: Beginning on line 8, actually
12 on line 9, you refer to a Tier 1 Internet backbone
13 facility, what is a Tier 1 facility?

14 MR. GREENE: The Internet by definition is a
15 network of networks, and the tiers are really based upon
16 how your network connects to other networks and degree
17 of backbone services that you provide. So as a Tier 1
18 Internet backbone, we have access to all the other
19 networks that are out on the Internet. Somebody who was
20 not a Tier 1 backbone provider, let's say I'm Acme ISP,
21 I may have my own small little network, but I only
22 connect to one other network, I would not be considered
23 a Tier 1 provider because I don't have access to all the
24 other backbone networks of the Internet.

25 JUDGE RENDAHL: Okay, great.

0138

1 If you can turn to page 13 and the sentence
2 starting on line 6, you refer to -- you're talking about
3 the same information as you talk about in MG-4 here, the
4 difference between how Qwest does some signaling and
5 Level 3 provides the signaling, but you also talk about
6 DID service, as I understand direct inward dial; is that
7 correct?

8 MR. GREENE: Correct.

9 JUDGE RENDAHL: And so I could begin to
10 understand what we were talking about here today, I did
11 a little bit of research in Newton's Dictionary, and the
12 way Newton describes direct inward dialing is:

13 The ability of a caller outside a
14 company to call an internal extension
15 without having to pass through an
16 operator or attendant.

17 Now I don't think that's how you would
18 describe direct inward dialing, or maybe it is?

19 MR. GREENE: It is how I would describe it,
20 because what physically happens there is that you, with
21 direct inward dialing, you are assigning a phone number
22 to each station or each phone that you have inside of a
23 company. If I'm a business and let's -- I will just use
24 my favorite business name, Acme, and I have 100
25 employees, I will have 100 phones throughout my business

0139

1 and 100 phone numbers. I don't necessarily need 100
2 phone lines, because not every employee will be on the
3 phone at the same time.

4 So what I would do is I would go to a
5 carrier, either a LEC like Qwest or a CLEC like Level 3,
6 and buy DID service. And what would typically happen is
7 I would have my PBX or private branch exchange, which is
8 effectively a very small phone switch, on my company
9 premise, and I would buy a DID service from the carrier,
10 and typically they will provision that over a T1 line.
11 If you recall, a T1 line has 24 trunks, so effectively a
12 quarter of my employees could be on the phone at the
13 same time. If that 25th employee tried to pick up the
14 phone, he would get either some type of fast busy or
15 some other reorder tone from the PBX. But the phone
16 company knows that all 100 phone numbers that I have
17 that calls come to those 100 numbers should route to
18 that single 24 trunk T1, which ultimately would go to my
19 PBX.

20 ISP's sort of use that same architecture with
21 the exception being with service that we provide is that
22 they have outsourced all the infrastructure components
23 to us. So instead of stations, there are, or individual
24 phones, there is effectively there are modem ports. And
25 instead of individual DID lines or DID blocks, they are

0140

1 buying a bundled service from us that includes that
2 component. If you recall earlier this morning I talked
3 about that bundle of things that go into managed modem,
4 the connectivity to the PSTN is effectively a DID
5 service. We're providing a phone number, you know, the
6 ability to directly reach a station without having to go
7 through the operator, and that individual phone number
8 is assigned to a particular ISP.

9 And some ISP's like AOL if you look in their
10 software, they may have in the Seattle area 10 or 12
11 different access numbers for you to dial into. We may
12 provide 5 of those access numbers, Qwest may provide the
13 other 5, because AOL wants some level of redundancy if
14 there was a catastrophic problem with one particular
15 carrier. And that DID service is the element inside the
16 bundle that they buy from either of us that gets their
17 dial service available to customers.

18 JUDGE RENDAHL: Okay, that's very helpful.

19 And I'm going to have a question for Qwest,
20 not necessarily for Level 3, because it's about Qwest's
21 system, and it's about PRI and again my reference back
22 to Newton's which refers to it as part of an ISDN, and
23 I'm not going to identify what that acronym is because I
24 can't remember at this point, but we'll get to it, and
25 so I might need some clarification from Qwest later on

0141

1 that.

2 Later on in your testimony on page 29, you
3 refer to percent local use, percent interstate use, and
4 percent of IP use, and you have some acronyms associated
5 with those, and this has to do with the billing for
6 traffic exchange?

7 MR. GREENE: Correct.

8 JUDGE RENDAHL: Okay. And are you all
9 intending to get into the billing issues at all today?

10 MR. GREENE: Yes, Mr. Wilson will in his
11 presentation talk about the rationale for Level 3's
12 desire to use the network that we have in place today to
13 serve all types of traffic, but very briefly, as you
14 recall earlier, I said there were over 35,000 trunks
15 that are there. There's a good portion of those trunks
16 that remain idle. If people are at work, they're not
17 using their dial-up service at home. We would like to
18 use that existing network to transport other types of
19 calls such as interexchange calls from long distance
20 carriers and also VoIP calls to PSTN users. And as we
21 understand it, Qwest has opposition to us using that
22 network for those purposes.

23 JUDGE RENDAHL: Okay, then I will defer my
24 questions for Mr. Wilson.

25 And then just one last clarifying question on

0142

1 page 43 of your exhibit, your testimony, and again this
2 might go back to Mr. Wilson, but on line 17 you refer to
3 a record 29 identifier, and I'm wondering what that
4 means.

5 MR. GREENE: In the carrier world, there are
6 various recordings that are made by switches or software
7 or billing platforms, and in certain instances it's
8 necessary for one carrier to transmit information about
9 that call to another carrier. An example of that would
10 be an independent telephone company that doesn't have
11 its own tandem switch. It may depend upon Qwest to
12 deliver calls to it from carriers that it's not
13 interconnected with. Qwest would, as that tandem
14 provider, would be responsible in giving that
15 independent phone company records on what transpired in
16 the call, who was the carrier that made the call, you
17 know, call duration from the two numbers, so that
18 independent company can go to, let's say it's in the
19 case of a long distance call, to that interexchange
20 carrier and collect the switched access charges that
21 it's due for originating or terminating that call. The
22 industry under the guise of ATIS --

23 JUDGE RENDAHL: A-T-I-S.

24 MR. GREENE: A-T-I-S, and somebody help me.

25 MR. WILSON: Alliance for Telecommunications

0143

1 Industries Solutions.

2 JUDGE RENDAHL: Okay, and this also,
3 Mr. Wilson, are you going to be addressing that through
4 the exhibit that was distributed?

5 MR. WILSON: Only at a high level.

6 JUDGE RENDAHL: Okay, well, that's all I'm
7 really interested in, but I want to make sure I get to
8 the right person.

9 MR. GREENE: Sure.

10 So this industry forum through a subgroup
11 that it has, which is referred to as OBF, which I
12 believe is the ordering and billing forum, which is a
13 group of industry participants, various carriers coming
14 together, defined standards for the exchange of
15 information between carriers. They have a standard for
16 the exchange of messaging records that's standard,
17 includes all information that you would need to
18 determine the duration of a call, the from and to phone
19 numbers, and other information. One of the bits that
20 can be transmitted inside that record could be found in
21 indicator 29, where if you were to set the value to I
22 believe it's 3, that would denote that that call was
23 transmitted through the use of an enhanced service
24 provider. So there is an industry standard means for
25 carriers to exchange information that denotes a call as

0144

1 switched access or VoIP.

2 JUDGE RENDAHL: That helps.

3 MR. GREENE: Okay.

4 JUDGE RENDAHL: Thank you. I don't have any
5 other technical questions about your exhibits or the
6 testimony at this point.

7 Mr. Williamson, do you have anything further?

8 MR. WILLIAMSON: Just a follow up to that.

9 The indicator 29 or record 29, is that
10 normally transmitted via SS7 for LIS type trunking or --
11 I will just stick with the first part, is it normally
12 used for normal trunking?

13 MR. GREENE: No, these records are actually
14 transmitted after the call, so currently today there is
15 no standards base means of denoting a call as VoIP or
16 enhanced inside of the SS7 stream. The OBF is currently
17 working on a solution for that. They have looked at
18 perhaps setting the originating line indicator or OLI to
19 a particular value. They are also looking at using the
20 call forwarding bit or perhaps using another field which
21 is called the JIP, jurisdictional information parameter,
22 to signal calls as VoIP, but that standard process is
23 still underway. These records would be exchanged after
24 the call, and they're commonly used between all carriers
25 to handle the settlement of compensation for calls.

0145

1 MR. WILLIAMSON: Is Mr. Wilson going to cover
2 how that works in general?

3 MR. GREENE: I would be happy to cover how
4 that works in general.

5 MR. WILLIAMSON: Okay. How do you know, how
6 do you pass the information on if it's not transmitted
7 during the call, how do you know which call is a VoIP
8 call or a modem call or a voice call?

9 MR. GREENE: Well, there are really two
10 methods that we can employ and that we do employ to
11 validate or designate these calls. The first, which in
12 our case is more commonly used and the one that we use,
13 in the rest of the country the other three RBOC's have
14 agreed to allow for a single trunking architecture, is
15 the use of factors. So both sides can record how many
16 calls and how many minutes went across their network.
17 Where Qwest seems to have issue is that it can't
18 distinguish which minute is which. If you recall, there
19 are multiple types of traffic, there will be local
20 traffic, there will be VoIP traffic, and there will also
21 be interexchange traffic or long distance traffic that
22 we would propose to exchange over these trunks.

23 For the interexchange traffic, our proposal
24 is that we would compensate Qwest the exact same way
25 that they would be compensated if we bought Feature

0146

1 Group D trunks from them, which is typically what
2 interexchange carriers purchase for the termination of
3 traffic, but that would require us billing out or
4 maintaining two separate networks, which is terribly
5 inefficient for us, and Mr. Wilson will talk to the
6 efficiencies of that. But since we know how many
7 minutes were sent across a particular link, the side
8 that has the better reporting capabilities or knows more
9 information about the call will file a factor. The
10 first factor is the percent interstate usage or PIU, and
11 that basically tells you how of the 100 minutes that
12 were sent, what percentage of those calls are
13 interstate. And then of the remainder of that, you
14 apply a PLU or percent local factor so that you can
15 distinguish what percent of the remainder is local and
16 what percent of the remainder would be subject to
17 intrastate compensation. That's a method we use with
18 AT&T, formerly SBC, BellSouth, and Verizon.

19 The other method if you did not want to use
20 factors -- and factors are subject to all the audit
21 provisions of the ICA, so there really isn't room for a
22 carrier to cheat because they can be audited at any time
23 to validate that their factors are correct. The other
24 method if one side required that they had every single
25 call and they wanted to rate those calls themselves

0147

1 would be to exchange the call detail records or CDR's,
2 and the industry has a standard format for the exchange
3 of that. Typically we will set up some type of computer
4 link between companies, and one company would basically
5 batch download the records into their systems so that
6 they can, you know, initiate whatever billing that they
7 wanted to bill.

8 So there are really two methods that are
9 available, either the factors based approach which is
10 the easiest, or if you wanted to rate on a call-by-call
11 basis, you could use the records based approach.

12 MR. WILLIAMSON: I'm a little confused then
13 with the record 29, which I thought was a per call
14 record; is that not the case?

15 MR. GREENE: It is, and actually it's the
16 record format would actually be 110101, which is the
17 switched access record format that if you think of the
18 record as a long list of information, think of it as a
19 row, and each column represents an individual row, that
20 row may be let's say, and I'm making up the numbers I
21 don't know the exact amount, but 500 characters long,
22 indicator 29 is in position 200. So a company could
23 know that if I looked at position 200 of that row, I
24 could determine if the call is VoIP or not. That's
25 written into the standard, and that's what indicator 29

0148

1 is doing for the records exchange, and there is an
2 individual record or individual row for each call.

3 JUDGE RENDAHL: So in a factors based
4 analysis, do you still have those records, you just
5 don't transmit them to the company on a call basis?

6 MR. GREENE: No, we would actually in a
7 factors based world would do both. But from a billing
8 perspective to just facilitate the billing, you would
9 use the factors, and then you could audit the factors
10 using the actual records if you wanted to. But
11 processing, again in the case of Level 3 we've got, you
12 know, close to a billion calls that happen every single
13 day, the data processing horsepower that's necessary to
14 go to each individual record and look at it is enormous
15 versus just simply saying I transmitted 100 million
16 minutes, this percentage says this amount gets settled
17 to this, this percentage says this amount gets settled
18 to that, and you move on. And for, you know, the tens
19 of millions of calls that we're transmitting to Verizon,
20 BellSouth, and AT&T, that's the method we use.

21 MR. WILLIAMSON: And so to set those factors,
22 you would do traffic studies or some type of a study at
23 normal intervals or once at the beginning and then
24 revisit that at some point in the future to make sure
25 that the factors remain the same?

0149

1 MR. GREENE: That's correct. Generally
2 factors are exchanged between carriers on a quarterly
3 basis. The business policy that we have been using with
4 our other RBOC partners is we have been doing it monthly
5 because we -- and at least last year we were ramping the
6 traffic up and it had -- there's a great likelihood that
7 it would change from one month to the next, so we did
8 update and file those monthly. Because the Level 3
9 systems are updated enough to know exactly what type of
10 traffic is being sent out, the concern seemed to be that
11 the LIS trunks don't have that ability. But again, we
12 have offered up two solutions to resolve that.

13 MR. WILLIAMSON: I'm sorry, I was just going
14 to ask you again a clarification on I think I understood
15 you to say that Level 3 will send the records even
16 though you don't use them for billing per call?

17 MR. GREENE: Yes.

18 MR. WILLIAMSON: But the billing system
19 between the two companies will send those records, but
20 instead of using them on a per call basis, you will set
21 a factors, or that's what you would like to do, set
22 factors based on traffic studies that could be audited
23 at different times?

24 MR. GREENE: Exactly.

25 MR. WILLIAMSON: But the information is

0150

1 transmitted?

2 MR. GREENE: Yes.

3 MR. WILLIAMSON: Between companies?

4 MR. GREENE: That is correct.

5 MR. WILLIAMSON: Thank you.

6 JUDGE RENDAHL: I don't have anything
7 further, so why don't we turn it over to Qwest at this
8 point.

9 MR. SMITH: I think Mr. Brotherson has a
10 handful of questions, as does Mr. Linse, and I think
11 that's all we have.

12 JUDGE RENDAHL: Okay, please go ahead,
13 Mr. Brotherson.

14 MR. BROTHERSON: I have a couple of --

15 JUDGE RENDAHL: You will have to speak right
16 into the mike so we can all hear you.

17 MR. BROTHERSON: Is it on?

18 JUDGE RENDAHL: You are on.

19 MR. BROTHERSON: Mr. Greene, I had just a few
20 questions around the media gateway. I think you said
21 they were -- you built out in 1999, is that when the
22 media gateways were placed?

23 MR. GREENE: Yes.

24 MR. BROTHERSON: I think you indicated these
25 were in Denver, Seattle, and Phoenix?

0151

1 MR. GREENE: The ones that serve the Qwest
2 territory.

3 MR. BROTHERTON: In the Qwest territory. Any
4 media gateways serve Qwest territory besides those
5 three?

6 MR. GREENE: Yes, I believe Los Angeles and
7 Chicago may serve certain areas of Qwest.

8 MR. BROTHERTON: Or maybe Portland or Iowa,
9 Portland, excuse me, Oregon out of San Francisco?

10 MR. GREENE: That could be possible, but I
11 don't believe in the case of Oregon, I think there may
12 be some redundant trunks in Arizona that are served out
13 of Los Angeles, but they're more there redundant trunks.
14 Phoenix primarily serves the Arizona area. Oregon
15 because of the stuff we have done in that state I know
16 all comes back to Seattle. I believe Iowa is served out
17 of Chicago though.

18 MR. BROTHERTON: And have these media
19 gateways ever been relocated, or have they always been
20 in these locations? I guess I'm trying to say have
21 there been more that have been consolidated, have they
22 been expanded from just one, do you know?

23 MR. GREENE: Yeah, I mean there have been
24 more than one based upon acquisitions as one example.
25 We may buy a company that has a media gateway

0152

1 functionality in its network, and it's been our process
2 to consolidate that back into the central locations that
3 we have out there. I know that was the case when we
4 purchased Genuity.

5 JUDGE RENDAHL: I'm sorry, can you repeat
6 that name.

7 MR. GREENE: When we purchased Genuity.

8 JUDGE RENDAHL: Can you spell that.

9 MR. GREENE: G-E-N-U-I-T-Y, not the best at
10 spelling.

11 JUDGE RENDAHL: It's not a test, just for the
12 record.

13 MR. GREENE: That they had locations that we
14 did consolidate. I would have to do some research to
15 determine, you know, which sites were original, which
16 sites were acquired through acquisition, and then which
17 sites were up at one point and then decommissioned.

18 MR. BROTHERSON: So Level 3 may have had more
19 than the three media gateways that you mentioned earlier
20 at least initially?

21 MR. GREENE: In the Qwest territory my
22 intuition would be no. Most of our acquisitions have
23 involved companies on the East Coast. There has only
24 been one that was recent, which was the acquisition of
25 some of the components of ICG, but I believe they were

0153

1 -- they had their or have their infrastructure in
2 Denver.

3 MR. BROTHERTON: The managed modem service,
4 if I understand that, rather than the ISP having to own
5 the modems, Level 3 performs that function for them or
6 on their behalf and they pay for that service?

7 MR. GREENE: That's correct.

8 MR. BROTHERTON: Did Level 3 ever do any
9 delivery directly to ISP modems before managed modem
10 service, or have you always performed that modem
11 answering service on their behalf?

12 MR. GREENE: As I understand it in our 3
13 Connect modem product, the demand of that product has
14 always been that the ISP outsources that functionality
15 to us. We have other products that an ISP could buy
16 such as, you know, direct inward dial service if they
17 wanted to use their own modems, but for the context of
18 what we consider to be ISP bound traffic, it is the
19 domain of our 3 Connect modem service, which has the
20 modems outsourced from the ISP to Level 3.

21 MR. BROTHERTON: I think you said AOL's
22 network was different, does AOL answer their own calls,
23 or do they use the managed modem service?

24 MR. GREENE: They use the managed modem
25 service. The difference is that instead of using our

0154

1 backbone, which allows access to the Internet at large,
2 the traffic is first routed to the AOL network, and then
3 from there it's delivered to the Internet at large.

4 MR. BROTHERSON: Thank you. I have one other
5 question, but I'm trying to recall what it was. Oh, I
6 think you said 90% of the dial-up business or to dial-up
7 Internet providers is handled by three companies, and I
8 think you said Qwest, MCI, and Level 3?

9 MR. GREENE: That's correct.

10 MR. BROTHERSON: When you said Qwest in that
11 example, you were referring to QCC?

12 MR. GREENE: As I understand it, the service,
13 the wholesale dial service which I believe is the name
14 is offered through the QCC subsidiary of Qwest, as I
15 understand it.

16 MR. BROTHERSON: I think that's all I have.

17 MR. SMITH: Then Mr. Linse has just a similar
18 handful.

19 MR. LINSE: Hey, Mack, how are you doing?

20 MR. GREENE: I'm doing fine, thanks.

21 MR. LINSE: At the beginning of your
22 presentation, and I don't know if we can maybe go back
23 to that first drawing.

24 MR. GREENE: That first drawing.

25 JUDGE RENDAHL: Mr. Linse, if you can make

0155

1 sure you speak really close to the mike. I can hear
2 you, but --

3 MR. LINSE: All right, I'll get it in front
4 of me.

5 JUDGE RENDAHL: So you're looking at MG-3.

6 MR. LINSE: Okay, on the purple line that
7 runs between what you have identified as the Yakima and
8 Seattle local calling areas.

9 MR. GREENE: Yeah.

10 MR. LINSE: You said that was a jointly
11 provisioned circuit, and I was under -- I understand
12 that to be totally provisioned by Qwest, and I don't
13 know if you had a port, if there was a portion of that
14 that I'm missing that Level 3 provisions?

15 MR. GREENE: Yeah, as I understand the
16 process, we have an interconnection agreement that we're
17 operating under today that has provisions that if
18 there's a certain amount of traffic to a particular end
19 office that we should establish a direct end office
20 trunk to it. So what happens is our provisioning group
21 generates an ASR, an access service request. That
22 access service request is then delivered via actually an
23 electronic system to Qwest. It tells Qwest what -- and
24 I believe I'm not the most proficient in this, what
25 axle, which is effectively a particular point, an

0156

1 interconnection point, it's a port on a device to
2 connect the circuit to, and Qwest then goes about
3 provisioning that circuit out to the switch. That port
4 or the axle that is used is the MUX that we have in our
5 collocation. From the collocation that direct end
6 office trunk still needs to go back to our media gateway
7 so that it appears as a discreet element. Then, and I'm
8 not sure if this is inside the ASR or it's done by LSR,
9 both companies will build what's known as translations
10 in their switch, so we will build in our soft switch a
11 translation that says this particular trunk group, and
12 it's referred to as something called a 26 code, which is
13 the identifier of the trunk group, is handling calls
14 from this area and these phone numbers, and Qwest will
15 provision a similar type of set of instructions into its
16 switch. So given that provision, activities happen on
17 both networks, on each party's respective network, and
18 the fact that if one party does not do its respective
19 work, then the circuit would not work, I consider it to
20 be jointly provisioned.

21 MR. BROTHERRSON: Excuse me, if I could
22 interrupt for just a second, and I meant to address this
23 in my presentation, but since we've got some questions
24 going on around this matter I wanted to raise it now,
25 the picture indicates DTT from Yakima to Seattle. I

0157

1 believe Yakima is in the Spokane LATA, and I was going
2 to confirm this over lunch. If that's the case, Qwest
3 would not be provisioning any interLATA facilities. Our
4 Yakima tandem would be connected to the Spokane tandem
5 for the Spokane LATA. And I just need to double check
6 that in your example you might have connected an Eastern
7 Washington local calling area, namely Yakima, to the
8 Seattle tandem instead of the Spokane tandem?

9 MR. GREENE: No, I would agree that the
10 general principle is that the LIS trunks do stay within
11 the boundaries of a LATA. Every now and again -- and
12 typically that's how we order it, and that's how you
13 provision it, every now and again there are exceptions
14 made. We can take that back and double check it in our
15 systems and see if there was an inventory error or
16 something that caused that to appear that way.

17 JUDGE RENDAHL: Okay, if you all can clarify
18 that over lunch.

19 MR. LINSE: Just for the record, I did
20 clarify that in my own data, and that connection doesn't
21 or that transport does not exist between our network and
22 Level 3's.

23 JUDGE RENDAHL: So you're saying that there
24 is no connection that Qwest has in its records of a
25 direct --

0158

1 MR. LINSE: Trunk transport.

2 JUDGE RENDAHL: -- DTT between Yakima and
3 Seattle?

4 MR. LINSE: Correct.

5 JUDGE RENDAHL: Okay.

6 MR. GREENE: Over lunch we can check that
7 out.

8 JUDGE RENDAHL: Why don't you all discuss
9 this over lunch and see if we can clarify how it
10 actually works from Yakima to the Level 3 network, and
11 then you can clarify that afterwards.

12 Mr. Linse, did you have more questions?

13 MR. LINSE: Yeah, I wanted to clarify though
14 that the transport is not provisioned by Level 3?

15 MR. GREENE: No, that --

16 MR. LINSE: Between those two local calling
17 areas?

18 MR. GREENE: That's correct, from the -- for
19 illustrative purposes, that purple line that goes if
20 it's, you know, were in fact, subject to check, a direct
21 DEOT, that would be provided by Qwest. It's on Qwest's
22 side of the POI, and that facility is provided by Qwest.

23 MR. LINSE: Okay.

24 MR. GREENE: And owned and operated by Qwest.

25 MR. LINSE: And then one additional thing

0159

1 about in New Mexico you went through an example of how
2 you guys do business with other companies that do both
3 VoIP, have like a VoIP business as well as a long
4 distance business, and you explained on how Level 3
5 distinguishes the difference between the traffic based
6 on the separate connections that those companies, that
7 you require those companies to have with your network.
8 Can you kind of explain, and you can use whatever
9 examples you want with your customers, I was just kind
10 of looking for, you know, the explanation on that one as
11 well.

12 MR. GREENE: Sure, be happy to do that. As
13 Mr. Linse says, we went over this in New Mexico, we have
14 also talked about it here, is that we would want to
15 exchange all types of traffic over this infrastructure,
16 ISP bound, local, VoIP, interexchange traffic.
17 Interexchange or IXC traffic is important to segregate
18 because it has a different settlement mechanism attached
19 to it. The settlement mechanism is governed by the
20 switched access tariffs that Qwest has on file that have
21 been approved by the Commission, and if we were to send
22 minutes of traffic of that class, we should pay Qwest
23 both the per minute and the facility fees that are
24 associated with that traffic. Just as we do for each
25 VoIP provider in providing an edge proxy server or a

0160

1 dedicated means for them to interconnect to our network,
2 we also do the same for interexchange carriers.

3 For our VoIP customers, for their traffic to
4 be considered enhanced, they have to amend their
5 customer agreement with us to certify that the traffic
6 that they're sending to us is enhanced. We don't want
7 to be in the business of people just giving us a
8 handshake and saying, hey, this is VoIP, treat it
9 specially, we do require them to certify that it's VoIP.
10 For those that do not or those that such as let's pick a
11 long distance carrier, AT&T, who may use Level 3 to
12 terminate its minutes, would have traffic that comes
13 over a separate dedicated point. And based upon the
14 segregation of those interconnections to our network,
15 and we do one or two on a national basis with each of
16 these carriers, we can tag the traffic as either being
17 subject to tariff and special access, tag it as VoIP,
18 you know, or tag it as local. We don't really have ISP
19 bound traffic leaving Level 3 and going to Qwest. All
20 that traffic is leaving Qwest and coming to Level 3.

21 Did I answer your question?

22 MR. LINSE: Yes, thanks, Mack.

23 That's all I have.

24 MR. SMITH: That's all the questions Qwest
25 has.

0161

1 JUDGE RENDAHL: Okay, why don't we try and
2 get through Mr. Wilson's initial presentation. I will
3 try to hold questions until after we get back from
4 lunch, so please go ahead, Mr. Wilson.

5 MR. WILSON: Thank you. I will try to make
6 my presentation relatively brief. I will have a number
7 of questions for Mr. Linse, I think that will be an
8 efficient way to get some of the issues out.

9 JUDGE RENDAHL: And you plan to do that
10 following his presentation?

11 MR. WILSON: Yes, I do.

12 JUDGE RENDAHL: Okay.

13 MR. WILSON: Mr. Greene I think has given you
14 a very good pretty detailed view of how the Level 3
15 network works and how some of these calls flow. I'm
16 going to try to briefly hit some of the issues that are
17 before us here today, and I think this is appropriate
18 maybe for me to do, because Qwest has been talking with
19 CLEC's on some of these issues for a decade now, and I
20 was involved in many of those conversations that started
21 ten years ago.

22 Let me begin with sharing trunks. Level 3
23 wants to be able to use its existing interconnection
24 network to also put long distance traffic over the same
25 trunks. This was an issue that was discussed here in

0162

1 Washington at great length years ago. I remember
2 putting diagrams on the board in this room at that time.
3 This is really the same issue that we discussed then. I
4 noted in preparing for this case that Washington State
5 ruled that sharing trunks was efficient and that the
6 CLEC's should be able to do that. But now Qwest is not
7 accepting the language that Level 3 is proposing, and I
8 think we need to understand why that is. I don't think
9 I need to repeat all the arguments about network
10 efficiency, I have some of it in my testimony, and I
11 believe Your Honor was present at many of the hearings
12 where we discussed that at great length.

13 JUDGE RENDAHL: In this same room, yes.

14 MR. WILSON: In this same room on the same
15 board actually with diagrams. The efficiencies of
16 network engineering haven't changed in the intervening
17 time. It is still much more efficient to utilize single
18 large trunks rather than two smaller trunks for the
19 traffic. I think we have an even more compelling issue
20 here, as Mr. Greene briefly stated, since Level 3 has a
21 great deal of Internet traffic, dial-up and otherwise,
22 and is also having an increasing amount of long distance
23 traffic. The time of day for that traffic tends to be a
24 little different, and so you get even better
25 efficiencies by using the same trunk groups for both

0163

1 types of traffic.

2 I think the main issue that Qwest has, though
3 I will ask Mr. Linse some questions, is how we bill,
4 accurately bill the different types of traffic. There
5 really is no technical reason that we can't put long
6 distance and local traffic on the same trunk with the
7 very small exception of what's called meet point
8 traffic. Meet point traffic is traffic that goes to a
9 third party in either direction, and Level 3 in other
10 jurisdictions with AT&T, BellSouth, et cetera, has
11 agreed to have meet point, separate meet point trunks.
12 These are typically very small, because it's a tiny bit
13 of traffic. I mean you imagine how much traffic is
14 going from say, especially now that most of the CLEC's
15 have been purchased by larger carriers, you imagine a
16 call from Electric Lightwave to, an Electric Lightwave
17 customer to a Level 3 customer, it's a small amount of
18 traffic, Qwest carries it in the middle. And Level 3
19 agrees to have a separate meet point trunk for those,
20 and they already have them, so these would not be new
21 trunks.

22 Aside from that, the billing issues,
23 Mr. Greene just responded to Mr. Williamson's question
24 in some length that there are two methodologies that
25 Level 3 will offer to Qwest. The other large RBOC's are

0164

1 using the PLU-PIU method, which is very simple, and as
2 access rates drop, I think we all should try and
3 simplify the billing process as well and do this simply,
4 because the dollar amounts are going down.

5 JUDGE RENDAHL: Mr. Wilson, if we can try to
6 avoid argument and focus on the technical aspects, that
7 would be great.

8 MR. WILSON: Fine.

9 So I see, as an engineer, I see no reason not
10 to use the PLU-PIU method of billing. If Mr. Linse can
11 describe their issues, that would be great.

12 Second issue that's related is the sharing of
13 Quad SS7 links. I submitted some additional diagrams on
14 this for the conference today. We could look at those
15 if the Judge feels that or the Staff feels that's
16 necessary.

17 JUDGE RENDAHL: Which diagrams are those?

18 MR. CECIL: Those were E-mailed on the 17th.

19 JUDGE RENDAHL: Okay, I received --

20 MR. CECIL: That went out to the entire
21 distribution, it was the ATIS records and --

22 JUDGE RENDAHL: Use your microphone.

23 MR. CECIL: Those diagrams were E-mailed to
24 Your Honor and all the parties on the 17th, and it
25 included two pages from the -- two sets of information

0165

1 from the ATIS billing standards, Alliance for
2 Telecommunications Industry Standards or Solutions, and
3 then a Power Point document entitled Ken Wilson slides.

4 JUDGE RENDAHL: Okay, I didn't see any quad
5 link diagram in those particular -- why don't we go off
6 the record for a moment.

7 (Discussion off the record.)

8 MR. WILSON: Since we did not provide those
9 diagrams, let me just describe the situation. When you
10 share the trunks as I just discussed, there's kind of a
11 secondary issue on sharing the SS7 quad links. These
12 are data links that connect the switches so that the
13 switches can communicate the nature of the calls, what
14 the calls -- what's going on, so this is the brains
15 behind the actual calls. And the SS7 network is a
16 network that both Level 3 and Qwest utilizes to pass
17 information between the switches, and what basically
18 Level 3 is saying, let's use the existing quad links
19 that we already have in place for transmitting the
20 messages both for local calls and for long distance
21 calls. Again, there is no technical reason not to do
22 this, it's being done in the three other big regions,
23 and so we would like to hear Qwest's problems with doing
24 this. It makes sense again from an engineering
25 standpoint in terms of efficiency. It takes half as

0166

1 many ports on the SS7 signaling transfer points and half
2 the trunks. So that's the second issue that I think we
3 should address today.

4 The third issue is the issue of the point of
5 interface and who pays or technically what do we do at
6 that interface and whose responsibility is it. This
7 again was discussed at great length here in Washington
8 years ago. The issues today are slightly different but
9 not profoundly different. One interesting difference
10 that I see today is that today we're talking about who
11 pays for the transport within the Qwest network, which
12 is very interesting because I remember eight, nine years
13 ago we were talking about who pays for the transport in
14 the receiving party's network. We seem to have gotten
15 past that for some reason, and now we're talking about
16 who pays for the originating party's part of the call.

17 Technically there's no issue here.
18 Essentially we all know what the point of interface is,
19 it's a place where local carriers pass calls. One
20 correction I would like to make I believe to Mr. Linse's
21 testimony here in this state, or maybe it was
22 Mr. Brotherson's or both, a point of presence or POP is
23 an older term that is used in the access world. A point
24 of interface is not a term that was an access term used
25 by the interconnection carriers. The term point of

0167

1 interface was created by the Telecommunications Act of
2 1996. It is a term that relates to local carriers. The
3 term that was used for interexchange carriers was POP or
4 point of presence, and they're two distinct entities in
5 my mind. Though the technology is very similar, they
6 are distinct.

7 And what we're talking about here is the
8 point of interface between local carriers and who has
9 responsibility on each side of that interface. And all
10 Level 3 is basically saying, we will provide the
11 transport on our side of the POI, we will pay for it,
12 it's ours, that's fine, Qwest, you pay for it on your
13 side, and what you do on your side of the network is
14 pretty much your business, what we do on our side is our
15 business. So if we want to transport traffic for a
16 customer at some rate up to the POI on our side, let us
17 do that. And if it's dialed as a local call, it should
18 be a local call. And if they want to do the same,
19 that's what they should do. So we're not technically
20 talking about changing the way routing is done, we're
21 not talking about changing the way rating is done, we're
22 talking about dialed numbers that are local to be
23 treated as local calls, and numbers that are 1-plus we
24 agree should be long distance calls, very simple. I
25 would also like to hear what Qwest's technical issues

0168

1 are with this arrangement from Mr. Brotherson and
2 Mr. Linse.

3 One other issue related to the point of
4 interface that I would like to discuss briefly is maybe
5 a simpler way to show the second diagram that Mr. Greene
6 showed to you. Let me just take two minutes to draw a
7 very fast stick drawing, if I might, that I think would
8 clarify the issue of the difference between what Qwest
9 is doing with QCC and what Level 3 is doing with the
10 point of interface, if I might.

11 JUDGE RENDAHL: Okay.

12 MR. WILSON: I think I could draw it very
13 quickly and then talk about it from here so we don't
14 need a traveling microphone.

15 JUDGE RENDAHL: Okay, well, let's be off the
16 record for a moment while you draw.

17 (Discussion off the record.)

18 (Luncheon recess taken at 12:00 p.m.)

19

20 A F T E R N O O N S E S S I O N

21 (1:30 p.m.)

22 JUDGE RENDAHL: Back on the record after our
23 lunch break, and now we're going to hear more from
24 Mr. Wilson who has maybe drawn a diagram or has more to
25 say.

0171

1 line between the Qwest tandem switch in Yakima and the
2 Pasco end office switch?

3 MR. GREENE: The only correction on the
4 left-hand side, instead of going from the Qwest tandem
5 switch it should go through the MUX and into the Level 3
6 MUX. It doesn't actually go through the tandem switch.

7 JUDGE RENDAHL: So the red line goes from the
8 Qwest end office switch in Pasco to the Level 3 MUX
9 through the Qwest MUX to the tandem switch?

10 MR. GREENE: Yes, if you flip the order of
11 that statement and put the Qwest MUX first.

12 JUDGE RENDAHL: So it goes from the Qwest end
13 office switch in Pasco to the Qwest MUX?

14 MR. GREENE: Yes, then to a Level 3 MUX,
15 there is a POI at that point, and then on a blue line
16 back to Seattle.

17 JUDGE RENDAHL: But does it then go from --
18 oh, I see, so there's no connection between the Qwest
19 tandem switch and the Level 3 MUX?

20 MR. GREENE: There is, but for the purposes
21 of this drawing in demonstrating the Pasco area, it is
22 not germane to the illustration of that.

23 JUDGE RENDAHL: Okay, well, then we'll wait
24 for the updated version too, but thank you for that
25 clarification.

0172

1 Okay, Mr. Wilson.

2 MR. WILSON: Thank you, Your Honor. I wanted
3 to connect up the diagram that Mr. Greene explained that
4 I'm showing right now, which is MG-4, and this diagram
5 shows the differences in connectivity between what Qwest
6 and QCC do for ISP and what Level 3 does for ISP, and I
7 wanted to show this with a little simpler high level
8 diagram that I had drawn, that I have now drawn on the
9 board.

10 This diagram shows the Level 3 configuration
11 on the top starting with a dial-up customer on the left
12 that would go to a Qwest switch. The Qwest switch is
13 connected to the Level 3 switch through the point of
14 interface over a LIS trunk, and then Level 3 takes that
15 call on to an ISP. So that's the top configuration.

16 The bottom configuration shows a similar
17 dial-up customer that is connected to the Qwest switch,
18 but this customer is getting service through QCC, the
19 subsidiary of Qwest. And I have heard Qwest say before
20 that QCC is a customer, and they use a PRI trunk instead
21 of a LIS trunk.

22 And the technical issues here are several
23 fold. In the top diagram, the LIS trunk uses the full
24 SS7 signaling. This is what carrier-to-carrier systems
25 use or carrier-to-carrier connections use, the full SS7

0173

1 protocol, which is appropriate. In the bottom
2 configuration Qwest and QCC are using ISDN PRI trunks,
3 which use a subset of SS7 for signaling. So it's very
4 similar in the signaling. As far as trunking capacity,
5 it's identical, both are providing capacity. The
6 signaling is slightly different. As you can see, the
7 connection between Qwest and QCC is simpler in a way,
8 probably more appropriate for a PRI trunk. And the
9 configuration with Level 3, since it's
10 carrier-to-carrier is more appropriately a full trunk
11 with SS7. So that just kind of shows you the technical
12 differences in the two configurations, and that's what I
13 wanted to show with this diagram.

14 And I think that's all I have to bring up
15 these issues. I did say I have questions for the Qwest
16 witnesses, because I think there may be some
17 misunderstandings and confusions about some of the
18 technology and the way we want to connect.

19 JUDGE RENDAHL: Okay, I appreciate that. I
20 understood when you were asking questions, when we set
21 up this conference I understood it to be a little
22 different than the workshop style we did in the Section
23 271 cases where there was a fair amount of give and
24 take. I would first like to get into the technical
25 issues, and then if there is time and the parties want

0174

1 to do it this afternoon, I'm happy to do more of the
2 give and take and negotiation, but that is not what I
3 understood this conference to really be. It's more just
4 clarifying the technical aspects. So with your okay on
5 that, I'm going to go to Mr. Williamson and see if he
6 has any technical questions for you.

7 MR. WILLIAMSON: Before I move that and make
8 a print of it so we can have it for the record, and you
9 might not be the appropriate one, maybe Qwest should be
10 the one to do it, but as I'm looking at it, you're
11 showing one end office, one Qwest end office at the
12 bottom with a primary rate to a QCC office where their
13 modem service is. Is it your understanding that at each
14 Qwest central office in each rate center local calling
15 area for Qwest that they would have a primary rate from
16 each rate center going to a QCC office where you have
17 one office serving a number of rate centers?

18 MR. WILSON: I think that's better for Qwest
19 to answer probably. In Oregon I think they had about
20 the same aggregation as Level 3, but I don't know in
21 Washington.

22 MR. WILLIAMSON: Okay. And then my second
23 question again may be for you or for Qwest to follow up,
24 but I would like to get clarification on the SS7
25 information that you were talking about and the quad

0175

1 links, and it would be helpful since we don't have a
2 diagram to have someone diagram a hierarchical SS7
3 network and then how you're talking about using it maybe
4 differently than it has in the past.

5 MR. WILSON: I think I can answer that
6 easily. We're not talking about any different kind of
7 architecture. It's merely a question of whether or not
8 Qwest -- whether or not Level 3 is required to have
9 duplicative sets of quad links. And these are generally
10 56 kilobyte data links, so the question is should we
11 have two sets of quad links or one set between the two
12 networks. The two networks are not hierarchical at the
13 SS7 level, they're heteroarchival, so they connect as
14 peers.

15 JUDGE RENDAHL: Did you say --

16 MR. WILSON: Heteroarchival.

17 JUDGE RENDAHL: Heteroarchival?

18 MR. WILSON: Yes.

19 MR. WILLIAMSON: Heteroarchival.

20 JUDGE RENDAHL: Heteroarchival.

21 MR. WILSON: Heteroarchival, it's a
22 reasonable word. They're not hierarchical, so they
23 connect as peers, and the quad links are merely data
24 links that transmit the data between the switches.

25 MR. WILLIAMSON: Okay, well, maybe Qwest when

0176

1 they do their clarification could clarify that for me.

2 With that, I'm done.

3 JUDGE RENDAHL: Okay.

4 MR. WILLIAMSON: I'm going to go make a copy.

5 JUDGE RENDAHL: Okay, you can go make a copy
6 of that, what's been put on the printing white board.

7 MR. BROTHERSON: Can it stay up because I
8 have --

9 MR. WILLIAMSON: Oh, go ahead.

10 MR. BROTHERSON: -- some follow up.

11 MR. WILLIAMSON: I'll wait until you're done
12 then.

13 JUDGE RENDAHL: I want to do some indicating
14 of what exhibit this would be though, and, Mr. Wilson,
15 we received the ATIS document that we have talked about
16 from Mr. Cecil and also the Power Point subset, are we
17 intending to include these at all as exhibits, do you
18 want the ATIS document? It does talk about record
19 indicator 29.

20 MR. CECIL: Right, yeah, the ATIS document
21 should be an exhibit to Mr. Greene's testimony, or
22 actually it's just an exhibit, I'm sorry, it's not
23 really an exhibit to the testimony but it's just an
24 exhibit in the hearing, so I'm just trying to think how
25 do you want them marked? I mean do you just want them

0177

1 marked sequentially, or do you want them associated with
2 a witness?

3 JUDGE RENDAHL: I would like them associated
4 with a witness.

5 MR. CECIL: Okay, so the ATIS document will
6 be associated with Mr. Greene, so I guess maybe the
7 easiest way is to make that --

8 JUDGE RENDAHL: MG-8.

9 MR. CECIL: Okay.

10 JUDGE RENDAHL: And I'm just including it as
11 one, because the one page copy that you sent is included
12 within the multipage.

13 MR. CECIL: Right. Well, it's a 1,500 page
14 document, so there's an introductory section and then
15 just the relevant pages. They were sent as two separate
16 electronic documents because it was different slices of
17 the same document.

18 JUDGE RENDAHL: Let's be off the record for a
19 moment.

20 (Discussion off the record.)

21 JUDGE RENDAHL: While we were off the record,
22 we identified as an additional exhibit to Mr. Greene's
23 testimony MG-8, which is an excerpt of
24 ATIS-0406000-2200, and two exhibits to Mr. Wilson's
25 testimony, KIW-3 described as Power Point slides re

0178

1 combining traffic on trunk groups for efficiency, and
2 then KLV-4 is the white board drawing, and that's titled
3 LIS trunking versus PRI trunking.

4 Okay, so I don't believe I had any particular
5 questions at this point, let me just briefly look.

6 Mr. Wilson, do you have your testimony with
7 you?

8 MR. WILSON: Yes.

9 JUDGE RENDAHL: Okay, so what's been marked
10 as KLV-1T, if you can look at page 13, please, line 7,
11 this is just a very brief clarification.

12 MR. WILSON: One moment.

13 JUDGE RENDAHL: So it's page 13, do you have
14 it?

15 MR. WILSON: I thought I did, but this copy
16 does not have it.

17 JUDGE RENDAHL: Okay, Mr. Williamson is going
18 to get you a copy.

19 MR. WILSON: Page 7?

20 JUDGE RENDAHL: Page 13, line 7, and at the
21 end of the line you have a sentence that starts, on
22 Level 3/701, Greene/12, is this referring to Exhibit
23 MG-3? I'm not sure what that number designation is.

24 MR. WILSON: Yes, that is referring to
25 Mr. Greene's Exhibit 2 I believe.

0179

1 JUDGE RENDAHL: So that's the map, MG-2, or
2 would it be the diagram, MG-3?

3 MR. WILSON: No, it's the diagram, you're
4 right, MG-3.

5 JUDGE RENDAHL: So it's MG-3?

6 MR. WILSON: Yes.

7 JUDGE RENDAHL: Okay.

8 On page 19.

9 MR. WILSON: Yes.

10 JUDGE RENDAHL: That sentence starting on
11 line 3, it refers to reprogramming or programming the
12 routing table, and we can defer this to the hearing if
13 you want to, but it's just a question of what is the
14 cost of programming the table?

15 MR. WILSON: It would be the same as
16 programming it to a different trunk, so the cost
17 difference would be zero. You're merely -- you have to
18 point any call to the right trunk so that it can be
19 connected, and so whether you point long distance calls
20 to Feature Group D trunk or to an existing LIS trunk
21 would be the same software, the same programming.

22 JUDGE RENDAHL: So it would have to be
23 programmed no matter which trunk it would be put on?

24 MR. WILSON: Yes.

25 JUDGE RENDAHL: Okay. What is a quad link?

0180

1 MR. WILSON: It's a data link that connects
2 the signaling transfer point of one company's network to
3 the signal transfer network of another company's
4 network, so it's a data link.

5 JUDGE RENDAHL: Why is it a quad link?

6 MR. WILSON: It's because there are four of
7 them for redundancy. The SS7 network needs to be very
8 redundant and robust in case something happens to one of
9 the links, you don't want the signaling network to go
10 down, so it's duplicated.

11 MR. WILLIAMSON: When Your Honor is done we
12 probably should roll that and let him draw that on the
13 board so we can see it.

14 JUDGE RENDAHL: Well, we can go back to that
15 question, I think those were all the questions I had for
16 you, Mr. Wilson, and I know Mr. Brotherson had questions
17 about what we have marked as KLV-4, so before we roll
18 this, I'm going to turn things over to Qwest here.

19 MR. BROTHERSON: I just had I think just one
20 question of Mr. Wilson. There's no local calling area
21 depicted there, is that intended to be a depiction
22 within a local calling area such as Yakima, or let me,
23 better example I guess would be Seattle with a Level 3
24 switch and a Qwest switch?

25 MR. WILSON: I meant to -- what I was

0181

1 intending to do was to show the parallel nature, the
2 similarity and dissimilarity of the two configurations.
3 If one of them is within a local calling area, if the
4 top part of the diagram is in one local calling area and
5 the bottom is in the same local calling area, then I'm
6 fine. If the top one goes between two calling areas and
7 the bottom one does as well, then that's also an
8 accurate depiction, so it doesn't matter.

9 MR. BROTHERSON: But if, pointing to the
10 bottom one for a second, the QCC were outside the local
11 calling area, would they not also have -- would you not
12 also have to depict a private line in that diagram in
13 addition to the PRI?

14 MR. WILSON: Based on Qwest's products or --

15 MR. BROTHERSON: Yes.

16 MR. WILSON: Well, from an engineering point
17 of view, the private line would really be an extension
18 of the PRI, so to me as an engineer it wouldn't matter.
19 I mean you may call the two pieces different products,
20 but it's really still an ISDN PRI technology.

21 MR. BROTHERSON: All right.

22 JUDGE RENDAHL: Okay, Mr. Brotherson, did you
23 have any other questions for Mr. Wilson?

24 MR. BROTHERSON: No, I have nothing.

25 JUDGE RENDAHL: And Mr. Linse?

0182

1 MR. LINSE: No.

2 JUDGE RENDAHL: Mr. Easton?

3 MR. EASTON: No.

4 JUDGE RENDAHL: Okay, well, thank you very
5 much, Mr. Wilson.

6 Before we roll this, if you can or somebody
7 can write LIS trunking versus PRI trunking on the bottom
8 there, and then, Mr. Williamson, you had a suggestion of
9 diagramming the quad link?

10 MR. WILLIAMSON: Yes.

11 JUDGE RENDAHL: I'm wondering if we look at
12 MG-3, there are four lines between the Level 3 STP and
13 the Qwest STP, is that the diagram, or are you thinking
14 of something more elaborate?

15 MR. WILLIAMSON: A little more elaborate, but
16 if that's sufficient for your understanding, then that's
17 okay.

18 MR. WILSON: Actually, I might suggest a
19 diagram that would take 60 seconds that would be more
20 representative.

21 MR. WILLIAMSON: Yes.

22 JUDGE RENDAHL: Okay, well, then let's print
23 KLW-4, and let's be off the record while we do this.

24 (Discussion off the record.)

25 JUDGE RENDAHL: Mr. Wilson, can you take us

0183

1 through your diagram of KLV-5 which you have put up on
2 the white board.

3 MR. WILSON: Yes, I have represented on the
4 left-hand side Level 3's signaling network and on the
5 right-hand side Qwest's signaling network. Level 3
6 would have a mated pair of signaling transfer points,
7 STP's, as would Qwest, so both companies have mated
8 pairs for redundancy of the signaling transfer point.
9 Between those pairs there are four links to connect up
10 the two signaling networks, and that's why we call them
11 quad links.

12 JUDGE RENDAHL: And what are the boxes to the
13 very left of the STP's and the very right?

14 MR. WILSON: Those would be the switches.

15 JUDGE RENDAHL: Ah.

16 MR. WILSON: That the STP's are connected to,
17 so each switch is connected to the STP's of the company
18 that is on the -- either Level 3 or Qwest.

19 JUDGE RENDAHL: Hence SW1, if I was really
20 paying attention, I would get it.

21 MR. GREENE: And, Your Honor, this is at the
22 top of MG-3.

23 JUDGE RENDAHL: Can you use your microphone,
24 please.

25 MR. GREENE: I thought I had it on, I

0184

1 apologize.

2 JUDGE RENDAHL: You're just not close enough.

3 MR. GREENE: I guess not.

4 I was saying that this diagram that

5 Mr. Wilson has sort of excerpted here is at the top of
6 MDG-3, you will notice I think it's the very topmost of
7 the diagram are two signal transfer points with four
8 links between them, and then it designates the SS7
9 communications that ultimately go back out to the
10 switches on either side.

11 JUDGE RENDAHL: All right, thank you.

12 Mr. Williamson.

13 MR. WILLIAMSON: Not to be too picky, but
14 wouldn't it be more accurate that the top left STP would
15 have one link to the top rightmost STP and one link to
16 the bottom right STP?

17 MR. WILSON: Yes.

18 MR. WILLIAMSON: And, of course, the other
19 way. And the switches would be the same way at their
20 end where there would be one link to each STP?

21 MR. WILSON: Yes, as I was drawing them, I
22 realized that that was probably a little more accurate.
23 The point is that four lines --

24 JUDGE RENDAHL: Can we diagram that in a
25 different color instead of erasing what we have.

0185

1 MR. WILLIAMSON: Well, actually, he needs to
2 correct it.

3 JUDGE RENDAHL: All right, then we'll correct
4 it.

5 MR. WILSON: The links do cross so that you
6 have one link to each STP.

7 MR. WILLIAMSON: And then one more while he's
8 drawing, it's been a long time since I have done SS7,
9 but aren't IXC's connected to separate STP's? For Qwest
10 to connect to an IXC for long distance calling, they
11 would go from their network to the other network and
12 then would use another pair of STP's? And as a follow
13 up before you answer that, and this is where I'm a
14 little confused, if you were making an IXC type call to
15 Qwest, would you have to go to their different STP's
16 than they use for local calling? Do they have a
17 separate pair of STP's for their long distance network?

18 MR. WILSON: You know, for some reason this
19 issue did not come up when I was representing AT&T. I
20 do not believe that AT&T set up a separate quad link,
21 set of quad links. Especially in I know in Washington
22 Qwest agreed to allow AT&T to use its existing Feature
23 Group D trunks for local calls, and I assume that the
24 quad links that were already in use were used for all
25 those calls. So it didn't come up as an issue, and I

0186

1 would have to assume that no second set was built. In
2 fact, I'm not even sure how that would work for the AT&T
3 configuration. And the issue here is simply, as you
4 said, should Level 3 be required to put up an additional
5 set of four links for long distance calls since they
6 have the four links for the local calls which can be
7 used for the messages.

8 MR. WILLIAMSON: Maybe Qwest could clarify
9 then if there's somebody that can do that when we go
10 through it. Are you saying another quad to another set
11 of STP's or four more between the same set of STP's?

12 MR. WILSON: It would be the same set of
13 STP's.

14 MR. WILLIAMSON: Maybe Qwest can clarify that
15 when we get to it.

16 JUDGE RENDAHL: Would you like to do that
17 now, Mr. Linse?

18 MR. LINSE: Yeah, I think I can maybe clarify
19 some of that. I guess the only way -- the best way to
20 start is from the beginning, which is I think the Qwest
21 contract language, which the parties have agreed to
22 language that allows a single set of quad links, and in
23 fact we don't require that configuration today.

24 JUDGE RENDAHL: A single set or a double set?

25 MR. LINSE: A single set, we don't require

0187

1 more than one set.

2 JUDGE RENDAHL: Thank you.

3 MR. LINSE: And in my testimony I think in my
4 supplemental, or no, in my direct testimony, I forget
5 which state I'm in, I apologize.

6 MR. SMITH: It's the new direct.

7 MR. LINSE: Yeah, the new direct has the
8 language, I quote the language in there. I can't
9 remember the section number, but it basically goes
10 through the different ways that Level 3 can obtain the
11 signal. They can either come to Qwest, go to a third
12 party, and there's no requirement that goes beyond a
13 single set of quad links.

14 JUDGE RENDAHL: Okay.

15 MR. LINSE: And this is kind of -- I have
16 struggled with this since this came up subsequent to the
17 petition filing, why this is even an issue.

18 MR. WILSON: But maybe just one question?

19 JUDGE RENDAHL: Well, let me first go to
20 Mr. Williamson and then briefly. I don't want to argue
21 the point here, so if we're going to argue the point,
22 let's keep that to the hearing. But if there is a
23 technical question, we'll go to it.

24 Mr. Williamson.

25 MR. WILLIAMSON: Well, I'm like you then,

0188

1 surprised that it's an issue here. If Qwest is not
2 requiring Level 3 to add another set of quad links, then
3 why is it an issue, and if it was an issue, why it would
4 be required between the same four STP's? Mr. Linse said
5 that that's not a requirement, so unless you can give us
6 a technical clarification of your understanding.

7 MR. WILSON: I believe the issue is the
8 price, and my question for Mr. Linse would be, if they
9 allow Level 3 to do that, would Qwest be charging Level
10 3 as if all the traffic was long distance? Because they
11 charge an access rate for all of the messages when it's
12 an IXC, and it's, you know, it's an access type rate,
13 and I think that's the issue.

14 JUDGE RENDAHL: Okay, well, I guess I would
15 suggest since this seems to be an issue that's still in
16 dispute between the parties that if you can clarify it
17 today after we're done, after the technical discussion,
18 or before we get to hearing, then it sounds like you all
19 need to have some further discussion on this issue so
20 you really understand what your dispute is about. I
21 don't think that here today I think we all understand
22 the technicalities, it's just a question of what the
23 parties want to do.

24 So are there any other questions from Qwest
25 or Mr. Williamson for Mr. Wilson?

0189

1 Okay, I think why don't we go off the record
2 and get organized for the Qwest witnesses, and we'll be
3 right back on. Oh, and let's print KLW-5. Let's be off
4 the record.

5 (Discussion off the record.)

6 JUDGE RENDAHL: We have clarified the
7 exhibits for Mr. Brotherson, and just for clarification
8 we have several pages that were distributed that need to
9 be somewhat corrected. The document that was
10 distributed today that's titled Exhibit LBB-4 VNXX
11 Routing, should actually be LBB-2. The exhibit titled
12 Examples of VoIP Calls labeled Exhibit LBB-2 should be
13 LBB-4. The exhibit titled Proper Routing of Terminating
14 VoIP Calls should be labeled Exhibit LBB-5, it was
15 labeled LBB-3. And then there's a diagram labeled VNXX
16 Versus IXC Versus FX, that is labeled or marked LBB-6.
17 There's a document, a diagram titled LIS Versus FGD
18 Interconnection labeled LBB-7, and then there was a
19 chart titled Comparison Level 3 VNNX Service/Qwest FX
20 Service/IXC Service for Calls Outside the Local Calling
21 Area, and that is marked as Exhibit LBB-8.

22 MS. SMITH: Correct.

23 JUDGE RENDAHL: Okay, so now we're going to
24 start with Mr. Brotherson, please go ahead.

25 MR. BROTHERSON: Thank you. We're here on a

0190

1 technical conference, we're not going to have a lot --
2 I'm not in my areas going to have a lot of differences
3 on the technical issues. We do have some, and I want to
4 address those, but I think when the prehearing notice
5 came out for the conference, you know, we were to
6 address technical and regulatory issues. And by and
7 large Qwest and Level 3 will agree on how a call routes
8 but will disagree on what the regulatory treatment of
9 the call should be given the technical way that it
10 routes. And it's hard to separate the two, because as
11 we will see as we get into discussions of for example a
12 LIS trunk versus a PRI trunk, and I will get into this
13 later in my exhibits, we could also draw a Feature Group
14 D trunk, which is an access trunk that a carrier buys,
15 it will look very similar to the LIS trunk and the PRI
16 trunk that Mr. Wilson drew on his exhibit, LIS trunking
17 versus PRI trunking. And from a technical point of
18 view, all three will look very similar in terms of
19 technical characteristics, and yet all three have very
20 different regulatory treatment by the Washington
21 Commission under the rules and regulations, and so you
22 can't separate the two.

23 My piece of the discussion will be on two
24 major pieces, one is on VNXX, and the other is VoIP, two
25 types of traffic. Mr. Easton is going to talk I think

0191

1 later about primarily the billing issues, and Mr. Linse
2 about combining traffic on trunk groups, and there's
3 some overlap there as well, but those two will address
4 that, and I want to focus on VNXX and VoIP.

5 And if we could turn to my Exhibit LBB-2 as a
6 visual diagram, I want to talk a little bit about just
7 what VNXX is. It is a -- the V stands for virtual, NNX
8 is the numbering code system that the telecommunications
9 industry uses, local telephone companies assign to
10 indicate routing information, and the V indicates a
11 virtual NNX code or routing code that appears to be in
12 one local calling area but in fact is not. If you can
13 look to the picture in LBB-2, I have drawn an example of
14 two local calling areas, the Seattle local calling area
15 and the Olympia local calling area. If the, on the
16 right-hand side, if Qwest end user A picks up their
17 telephone and dials a telephone number for the Olympia
18 local calling, NNX code associated with the Olympia
19 local calling area, the first thing that the Qwest
20 switch will do is they will say, well, this appears to
21 be a local call because it is dialing someone else with
22 an Olympia telephone number. The second thing it will
23 say is, but it's not a Qwest customer, we have to hand
24 this off to the Level 3 switch because it is a Level 3
25 customer, and we would therefore put the traffic on a

0192

1 LIS trunk and deliver it to the Level 3 switch for
2 delivery to their customer. What makes this a virtual
3 NNX code is that in fact the call does not come back to
4 any customer in Olympia but is rather handed off to an
5 ISP located in Seattle. So you've got a call
6 originating with an end user in Seattle, terminating to
7 a Level 3 end user in Seattle, but they both have
8 Olympia telephone numbers. And if -- and by looking
9 just at the telephone number, it would appear to be that
10 the call originated and terminated in Olympia, thus the
11 V indicator for a virtual NNX code.

12 JUDGE RENDAHL: Do you mean NNX or NXX?

13 MR. BROTHERSON: NXX code, I apologize.

14 JUDGE RENDAHL: Okay, just to clarify.

15 MR. BROTHERSON: The dispute which, and I
16 don't want to get into the argument but I think we need
17 to tee up the issue, is going to be over whether or not
18 the call is, in fact, a local call, because various
19 consequences, obligations, however you want to
20 characterize it, flow from the definitions or the
21 categorization of the calls. We have talked about
22 delivery of traffic to Level 3. Qwest's never disputed
23 an obligation to deliver local calls to Level 3. We
24 obviously are going to have a dispute over whether or
25 not a VNXX numbering system is going to be a local call

0193

1 which thereby triggers the obligation to deliver it for
2 free.

3 We have in our contracts obligations arising
4 for call termination charges to terminate traffic, local
5 call termination and/or ISP termination. The call
6 termination charges hinge on whether or not the call is
7 going to be a local call or not a local call, and
8 therefore the regulatory treatment is driven in fact by
9 the classification of the traffic, and all of this loops
10 back around to the language that is in dispute by the
11 parties.

12 If we could turn for a minute to LBB-6, I
13 have depicted three types of calls where I show a
14 telephone originating a call on the left-hand side and
15 the call terminating to a green box on the right-hand
16 side. On the top, there's three depictions there, on
17 the top row it's called a Level 3 VNXX service. I
18 walked through the earlier diagram for you, the LBB-2,
19 but let's walk through it again here. A Qwest end user
20 picks up the telephone to dial the number. It goes
21 through the Qwest switch, is handed off to the Level 3
22 switch, who hands off to their Level 3 ISP customer.
23 And you will -- I forgot to point out you've got local
24 calling area A in the upper left-hand corner and local
25 calling area B on the right to show that the calls are

0194

1 traveling from one local calling area to the other. In
2 a VNXX call, Qwest receives no originating compensation.
3 In Washington, Qwest receives no compensation for
4 transporting the call to local calling area B, which is
5 the rough issue of who pays to transport the traffic.
6 So Qwest receives no compensation for the transport.
7 And then once it reaches local calling area B, Level 3
8 charges Qwest a local termination charge.

9 The next scenario I show is a traditional
10 long distance call, which is in the middle row. The end
11 user customer picks up their telephone to make a long
12 distance call. In that instance Qwest would receive,
13 and it's sent to the Qwest switch, in that instance
14 Qwest would receive an originating access charge. The
15 call is then delivered not to a Level 3 but to an IXC.
16 The IXC transports the traffic to local calling area B
17 where it is handed off to a local telephone company in
18 local calling area B, who then sends the call out over a
19 loop to the called party, and the IXC would pay a
20 terminating charge, terminating access charge.

21 The third example is an FX or foreign
22 exchange service.

23 JUDGE RENDAHL: Before you go there, is the
24 FGD on the traditional long distance service the Feature
25 Group D link?

0195

1 MR. BROTHERSON: Yes, I apologize, a Feature
2 Group D is a trunk that connects an interexchange
3 carrier or IXC to a local exchange carrier.

4 JUDGE RENDAHL: Thank you.

5 MR. BROTHERSON: And a LIS trunk connects a
6 local exchange carrier to another local exchange
7 carrier.

8 My third example is foreign exchange service.
9 In this example we again have an end user. The end user
10 pays for local exchange service in local calling area A,
11 so Qwest would be receiving originating revenues in the
12 form of local exchange service. Then there is private
13 line to the end user customer in local calling area B,
14 so the end user customer pays for the transport. And
15 then the end user customer, there is no reciprocal
16 compensation charged by the end user customer in local
17 calling area B. I forgot to indicate in the middle row
18 the traditional long distance service, there is also
19 transport charged to the IXC if they request Qwest to
20 provide any transport services to the IXC, they pay for
21 those transport services.

22 So in the bottom example, the Qwest customer
23 pays the private line transport, in the middle example
24 the IXC pays for transport, and in the top example, the
25 Level 3 VNXX service, Level 3 does not pay any transport

0196

1 for delivery of the VNXX dial call to the Level 3
2 switch.

3 If we could turn, flip to LBB-7, Mr. Wilson
4 had earlier talked about how or had drawn examples of a
5 trunk connecting from the Qwest switch going to various
6 locations. In his example, he had a trunk going to the
7 Level 3 switch, and he had a trunk going to the, a PRI
8 trunk going to QCC and talked about the similarities
9 between the LIS trunk at the top of his example and the
10 PRI going to the end user.

11 JUDGE RENDAHL: And, I'm sorry, you're
12 referring to KLV-4?

13 MR. BROTHERSON: Thank you, I didn't have the
14 number, I kept referring to the name, but it's KLV.

15 JUDGE RENDAHL: And that's the diagram on the
16 white board?

17 MR. BROTHERSON: Yes, that's the LIS trunking
18 versus PRI trunking.

19 My diagram in turn is LIS trunking versus
20 Feature Group D, and mine is labeled interconnection,
21 but the analogy is to LIS trunking versus Feature Group
22 D trunking, and that's designated LBB-7. And the point
23 in terms of technical similarities is that just like the
24 PRI example that Mr. Wilson put on the board, the
25 Feature Group D example is also a trunk going from the

0197

1 Qwest switch and connecting in this case to an IXC POP
2 or switch. However, the treatment of the trunking that
3 terminates on a PRI that terminates to an end user, QCC
4 in Mr. Wilson's example KLW, the regulatory treatment of
5 traffic that goes from the Qwest switch over a Feature
6 Group D trunk to an IXC and the regulatory treatment of
7 traffic that goes over a LIS trunk from a Qwest switch
8 to a CLEC as depicted in LBB-7, all three have different
9 regulatory treatment, and all three are impacted by the
10 classification of calls and which category the calls
11 fall -- which of those three categories the calls fall
12 into, so I wanted to lay out the comparisons of the
13 three.

14 LBB-8 was a narrative. It in essence
15 completes the comparison that I walked you through
16 graphically into three columns. The three columns would
17 represent Level 3 VNXX service, Qwest FX service, and
18 IXC toll service, which you can see the IXC service is
19 depicted on LBB-7 as the Feature Group D, the VNXX
20 service I depicted, it's a LIS trunk but it's also
21 depicted in LBB-6 on the top line, and then the Qwest FX
22 service which is also on LBB-6 on the bottom of the
23 three examples. And this chart simply walks you through
24 verbally what I have tried to depict through the
25 diagrams as well, which is who pays for origination, who

0198

1 pays for the transport, who pays for termination, if
2 any, and what is the regulatory treatment of the three
3 types of calls. And I think when we get all done, we'll
4 find that that zeroes in on the bulk of the issues in
5 the case.

6 I think if we could flip to, there's a couple
7 of things I wanted to touch on and if we could flip to
8 Mr. Greene's chart of his network, which I'm looking for
9 MDG --

10 JUDGE RENDAHL: Is this the one we worked on
11 first this morning?

12 MR. BROTHERTON: Yes.

13 JUDGE RENDAHL: MDG-3.

14 MR. BROTHERTON: If you could flip that over
15 for me, Mack, I'd appreciate it.

16 MR. GREENE: MDG-2.

17 MR. BROTHERTON: I'm sorry, MDG-2, which is
18 the very complicated one with the fine print for my
19 bifocals.

20 JUDGE RENDAHL: This one right here?

21 MR. BROTHERTON: Yes, Your Honor.

22 JUDGE RENDAHL: That's MGD-3.

23 MR. BROTHERTON: MGD-3?

24 JUDGE RENDAHL: MDG-3.

25 MR. GREENE: It rolls right off the tongue.

0199

1 MR. BROTHERSON: MDG-3, which was a --

2 JUDGE RENDAHL: Level 3-Qwest Interconnection
3 Architecture.

4 MR. BROTHERSON: Level 3-Qwest
5 Interconnection Architecture. The first point I wanted
6 to make then, there's been a lot of technical discussion
7 of RADIUS servers, and VoIP provider soft switches, AOL
8 servers, proxy servers, all of which are on the
9 right-hand side of the exhibit and take place on the
10 Internet and are not involved with interconnection, are
11 not involved with the arbitration directly. They are
12 the interconnection agreement deals with what happens
13 once the traffic leaves the Internet to interconnect
14 with a local, traditional local telephone company, that
15 is to say what happens when traffic on the Internet
16 wants to be sent to the PSTN.

17 And if you will notice on Mr. Greene's
18 exhibit at the Level 3 media gateway, there is a short
19 red line drawn where it talks about IT to IP to TDM, and
20 that is the point where the traffic is handed off by
21 Level 3 to the PSTN network, it is the point where Level
22 3 requires an interconnection agreement to interconnect
23 to what's then on the left-hand side and is the Qwest
24 network. And I think that it's important to keep that
25 in mind. We can have on the right-hand side, you can

0200

1 have a VoIP call where a caller is on broadband, cable
2 modem, or DSL. They can pick up their VoIP phone, they
3 can call another person who is on broadband, and that
4 entire conversation can take place on the Internet in IP
5 protocol between two broadband customers and will not
6 require any interconnection with any local telephone
7 company, there's no technical need for two broadband
8 customers to pass through the PSTN for any reason.

9 And so it's only when VoIP calls which are
10 terminating or ISP dialed calls which are originating
11 calls want to get out on the Internet that there has to
12 be a transition of that traffic from the PSTN or the
13 plain old fashioned switch telephone network onto the
14 Internet. But the interconnection agreement is going to
15 deal with the exchange of traffic that takes place on
16 that red line and is not going to be as concerned with
17 the traffic on the right-hand side that takes place on
18 the Internet.

19 I said I would talk about VNXX and VoIP, so
20 let me before I get ahead of myself move over to VoIP
21 for a second or voice over IP. My lawyer is always
22 correcting my language, I tend to say IP protocol but
23 that's the P in IP. I think generally there is a
24 consensus of what IP is, it's the packets that travel
25 throughout the Internet through routers within a cloud

0201

1 to other routers, and if you have a broadband connection
2 you can have a VoIP eventually to an IP phone and you
3 can have a voice conversation.

4 If you want the conversation to terminate to
5 a POTS, P-O-T-S, plain old telephone service end user,
6 and I talk about if you wanted someone's kitchen phone
7 to ring, you've got to convert those IP packets into the
8 language of the plain old telephone network. And if you
9 will look at Mr. Greene's architecture exhibit where he
10 talks about the IP to TDM conversion taking place at
11 that media gateway, that's indeed what happens, it's
12 converted from IP packets into language, into the
13 signals, the electromagnetic signals that Mr. Greene
14 discussed that will pass then through Qwest's switches
15 and pass over Qwest loops and out to Qwest telephones.

16 VoIP is related to VNXX and has come into
17 this arbitration because up until the time of -- up
18 until the advent of VoIP, the issue was primarily about
19 dial-up ISP traffic, and it was all one-way traffic
20 where Qwest end users were dialing up Earthlink or
21 dialing up AOL, and it was one-way traffic flowing to
22 Level 3, and there was a lot of issues around who has
23 the obligation to transport the traffic, whether or not
24 the traffic is entitled to terminating compensation, if
25 so, at what rate. With the advent of VoIP, which is, as

0202

1 Mr. Greene pointed out, an Internet driven product, with
2 the advent of VoIP, we are beginning to see traffic now
3 flowing back the other direction from Level 3 to Qwest.
4 Because if you're Vonage, if you're Skype, if you're one
5 of the companies that are offering this product, you
6 obviously want your subscribers to be able to call not
7 just other people on broadband but everybody on the
8 telephone network, and therefore they need a company
9 like Level 3 to interconnect and deliver that traffic to
10 Qwest so that people's phones on the kitchen wall will
11 ring. And so VoIP has now entered the debate in
12 addition to VNXX, because Level 3 delivers traffic to
13 Qwest for termination, VoIP calls to Qwest for
14 termination, and again we're going to have -- we're
15 going to have issues with Level 3 that are the mirror
16 image of VNXX. As you can see from the diagram, Level
17 3's media gateway sits in Seattle, and the question is
18 going to rise, if a call is handed off to Qwest in
19 Seattle for termination, a VoIP call, does that get you
20 termination LATA wide, or does it get you termination
21 within the local calling area at which you hand off the
22 call. And if it is LATA wide, is it LATA wide as a
23 local call or is it LATA wide as something other than a
24 local call.

25 If we can turn now to LBB-4, I give an

0203

1 example of VoIP calls, and luckily everyone has a color
2 copy, the concern as we went through Mr. Greene's
3 discussions of reds and purples and whatever that my
4 color maps as well will not reflect perhaps the
5 distinctions the way they should in black and white.
6 But I show in green and with the very small dotted lines
7 a depiction of a valid VoIP call. We have on the
8 right-hand side in Olympia end user A. End user A is
9 connected by broadband to the Internet, so Qwest does
10 not see that call. It could be on a cable modem, it
11 could technically be on a DSL line as well, but those
12 lines, we all remember line splitting and line sharing
13 hearings, those lines do not go through the Qwest
14 switch, the traffic is split off and goes directly to
15 the Internet. So end user A on their broadband connects
16 directly to the Internet, and the Internet provider
17 delivers the call to their VoIP provider, this could be
18 a Vonage or a Skype or whoever. A VoIP provider is the
19 entity that buys local service as an end user and thus
20 is an entity that, if you will, seeks to terminate its
21 call to someone else.

22 So in this example the VoIP provider depicted
23 by the VoIP POP seeks to terminate a call to end user C.
24 And in our diagram, the end user A in Olympia places a
25 call over their broadband, it travels around on the

0204

1 Internet, is delivered to the VoIP provider who has
2 purchased local service in Seattle. Now in my diagram I
3 have the VoIP provider purchasing local service from
4 Level 3. They could, of course, have purchased local
5 service from Qwest in the alternative. But here they
6 have purchased their local service from Level 3, and
7 Level 3 would look at that call, say this goes to a
8 Qwest customer, pass the call over a LIS trunk to the
9 Qwest switch, and the Qwest switch would send the call
10 out to end user C, their telephone would ring. And it
11 would appear that a Level 3 end user in Seattle, the
12 VoIP POP, completed a call to the Qwest end user C, and
13 the points where the PSTN handles the call are from the
14 VoIP POP to end user C. The traffic flowing in green
15 over the Internet from end user A location and through
16 the green cloud has not yet been converted into TDM and
17 is not yet on the PSTN.

18 My second call -- oh, excuse me, the other
19 one is a dial-up ISP call, so I don't need to talk about
20 that.

21 JUDGE RENDAHL: Well, but you're saying that
22 the dial-up ISP call is not a valid VoIP call on this
23 diagram?

24 MR. BROTHERSON: Well, this -- yes, let me
25 walk through that. It's another point that I want to

0205

1 make, so let me stick with this exhibit.

2 Did you have a question?

3 MR. WILLIAMSON: Oh, I was just going to say
4 it appears to be an IP in the middle type of call --

5 MR. BROTHERSON: That's exactly --

6 MR. WILLIAMSON: -- which is not I think in
7 dispute, but go ahead.

8 MR. BROTHERSON: It's not in dispute.

9 But the second example is where a call
10 originates not on broadband but originates on the PSTN
11 as a dial-up call on a regular loop, a kitchen phone.
12 You dial up and reach your ISP, it might be AOL, it
13 might be Earthlink. There it connects -- there you try
14 and make a VoIP call which is handed off to a VoIP
15 provider in Seattle, who then terminates the call to end
16 user C. This type of call depicted in the dashed purple
17 lines originates on the PSTN, and it terminates on the
18 PSTN, and the -- it did travel for a distance in IP
19 protocol from the ISP box in Olympia to the VoIP POP
20 located in the Seattle LCA, so it traveled for a
21 distance in IP protocol, but it both originated in PSTN
22 protocol passing through a Qwest switch and it
23 terminated in PSTN protocol terminating through a Qwest
24 switch and therefore is not a VoIP call. And I point
25 that out only because in Mr. Greene's discussions he

0206

1 talked about VoIP traffic can either be terminating or
2 originating, and I wanted to walk through the example of
3 where a call that originates on the PSTN is not a proper
4 VoIP call.

5 My second exhibit dealing with VoIP is LBB-5,
6 again showing routing, and I show in the lower
7 right-hand corner a green telephone, and the green
8 telephone is on a DSL or cable modem, so it's got a
9 direct broadband connection to the Internet, to the
10 cloud. And when the person on the right, the green
11 telephone on the right, who is on a VoIP phone, gets on
12 the Internet, it will travel throughout the Internet,
13 and it will be delivered to a VoIP POP.

14 Here I have one drawn showing a VoIP provider
15 purchasing service in Seattle from Level 3. If the VoIP
16 provider who is purchasing local service from Level 3 in
17 Seattle is terminating a call to end user A in Seattle,
18 Qwest's reading of the ESP exemption, and this will be
19 an issue in dispute I think by the parties, but would
20 say that they're entitled to terminate, if they're a
21 Seattle local service customer, they're entitled to
22 complete calls to other Seattle local customers,
23 including Qwest's local customers, so the call would go
24 from the VoIP provider in Seattle to end user A.

25 The next question is going to be, if the VoIP

0207

1 provider is buying local service in Seattle but the VoIP
2 provider, Vonage as an example, wants to complete the
3 call to a Qwest end user in Olympia, which is depicted
4 as end user B, so following the path of the call we've
5 got the green IP phone down at the bottom of the page,
6 they are connected directly to the Internet, they say we
7 want to talk to someone in Olympia, they dial the
8 Olympia telephone numbers, it is handed off to a VoIP
9 provider purchasing service from Level 3 in Olympia,
10 excuse me, purchasing service from Level 3 in Seattle,
11 and the question becomes, how is it to get to Olympia
12 for the telephone of end user B to ring. Qwest's
13 position is the traffic, just as any other Seattle end
14 user who wishes to reach someone in Olympia, the traffic
15 should be handed off to an IXC for delivery to Olympia,
16 and I believe Level 3's position is that the traffic can
17 terminate LATA wide over LIS trunks. So we're back to
18 what kind of traffic can be on the LIS trunks, we're
19 back to what's the classification of the traffic, and
20 we're back to the issues.

21 I guess I have tried to depict the calls
22 geographically, or I mean pictorially. I think you're
23 going to find that we would agree that the trunks of an
24 IXC or a PRI or a LIS have many technical similarities,
25 but the regulatory treatment becomes very different

0208

1 depending upon how you classify the calls, and that was
2 the point I wanted to make.

3 Oh, I did want to make one other point just
4 because we talked about it at lunch, and that is that,
5 you know, the examples of say LBB-5 of how do you get a
6 call to Olympia, commissions have dealt with this long
7 before VoIP came along, because we have had issues
8 around toll bridging for example that are -- have many
9 of the same characteristics, and so I just wanted to use
10 that as an example of saying that classification of
11 calls and not just the way they're technically delivered
12 has a lot to do with the ultimate outcome of the
13 arbitration.

14 That's all I have.

15 JUDGE RENDAHL: Mr. Williamson.

16 MR. WILLIAMSON: First on LBB-5, the last one
17 you were on, and I just want to clarify in my mind the
18 gateway, which you don't show as a gateway but I'm
19 assuming is part of the Level 3 switch or at that
20 location, is where the IP is converted to TDM, and it's
21 Qwest's opinion that that is where the origination on
22 the public switched telephone network originates. Now
23 if on this drawing Level 3 didn't use their gateway in
24 Seattle but carried the call further into the Olympia
25 local calling area via IP and had a gateway converted at

0209

1 Olympia, then you wouldn't have an issue with that being
2 a local call?

3 MR. BROTHERTON: I'm not sure if I would
4 agree with that. I need I think a little more
5 information.

6 JUDGE RENDAHL: Can you first clarify the
7 first question, which is that the gateway is right there
8 at the Level 3 switch, is that where the IP TDM
9 conversion occurs?

10 MR. BROTHERTON: Yes.

11 JUDGE RENDAHL: Okay.

12 MR. BROTHERTON: I depicted in a traditional
13 telephone company type of depiction, it would be a media
14 gateway, the VoIP provider would in fact be -- you could
15 draw the picture right next to or inside the picture of
16 the Level 3 switch, if you will, because they're
17 performing a function for the VoIP provider, but I'm
18 trying to distinguish because Level 3 has inserted
19 themselves between the VoIP provider and Qwest as a
20 local exchange carrier or a CLEC, and so I depict them
21 as a Level 3 switch for that reason.

22 JUDGE RENDAHL: Okay, I just wanted to make
23 sure we clarified that.

24 And then the second part of your question,
25 Bob?

0210

1 MR. WILLIAMSON: And I don't want to
2 overcomplicate it, but if the gateway functionality is
3 the origination of the TDM call, then if the gateway was
4 physically in Olympia, then the call would be originated
5 in Olympia, then that would be a local call?

6 MR. BROTHERSON: Yes.

7 MR. WILLIAMSON: And it would be proper to
8 put it on an LIS trunk?

9 MR. BROTHERSON: Yes.

10 MR. WILLIAMSON: On a LIS trunk?

11 MR. BROTHERSON: I believe that's correct,
12 yes.

13 MR. WILLIAMSON: And again just for
14 clarification in my mind, on LBB-2 as well as probably
15 on the others that show the Level 3 switch, the Level 3
16 switch is a partition switch so that every local calling
17 area that Level 3 serves, the software in the Level 3
18 switch is partitioned to allow those calls to be routed
19 correctly as if there was a separate switch for each
20 local calling area?

21 MR. BROTHERSON: They certainly have numbers
22 for all the local calling areas in the switch. I'm not
23 sure how -- what you mean by partitioned, but yes.

24 MR. WILLIAMSON: Partitioned in the way the
25 translations are set up to be able to handle the calls

0211

1 as they would if they had a switch separate for each
2 local calling area even though it's physically in one
3 location.

4 MR. BROTHERSON: Right, the Qwest switch
5 would route the traffic to the Level 3 switch based on
6 the number dialed, and you could have a number of LIS
7 trunks coming in from a number of different local
8 calling areas to that switch, and that switch would
9 treat them all as arriving from the various local
10 calling areas to their switch.

11 MR. WILLIAMSON: I guess I'm -- I would like
12 somebody, hopefully you or somebody in the room, that
13 could explain the technical difference between a Feature
14 Group D trunk as opposed to a LIS trunk, if there is a
15 difference, and why traffic has to be isolated by the
16 type of call? Is there a physical difference between a
17 Feature Group D, technical difference between Feature
18 Group D and a local trunk?

19 MR. BROTHERSON: You know, I want to defer to
20 Mr. Linse or -- in terms of, you know, more of the
21 technical. Certainly, if you think of the switch as a
22 computer, certainly the software on a LIS trunk has
23 different capabilities than the software on a Feature
24 Group D trunk. You program them differently, they
25 capture different information, they perform some subtle

0212

1 distinctions, but they are both trunks plugging into a
2 switch with software that describes the features and
3 capabilities of that trunk.

4 JUDGE RENDAHL: Mr. Wilson.

5 MR. WILSON: The Feature Group D trunk is --
6 selects the outbound carrier based on a CIC code.

7 JUDGE RENDAHL: K-I-T?

8 MR. WILSON: C-I-C, carrier identification
9 code, CIC.

10 JUDGE RENDAHL: Thank you.

11 MR. WILSON: That's the main difference. The
12 point being that if all the traffic is going to one
13 carrier, you don't need that feature, and that's why
14 Level 3 can ask -- that's why we can point all of the
15 traffic to either a single Feature Group D trunk, both
16 local and toll, or we can point all the traffic to an
17 interconnection trunk, both local and toll, because it's
18 all going to Level 3.

19 JUDGE RENDAHL: Would you concur with
20 Mr. Brotherson's description of the software difference?

21 MR. WILSON: There is some software
22 difference, yes. I was trying to describe the main
23 feature, that Qwest charges say AT&T long distance
24 access charges because they provide a switching function
25 to them based on the carrier identification code of AT&T

0213

1 for instance.

2 MR. GREENE: Because, one clarifying point on
3 the software difference, and I would use this analogy
4 when I think of, you know, software sold by Lucent or
5 Nortel or other folks that provide end office and tandem
6 switches, is that they provide a software load that has
7 multiple options. And the analogy I would use would be
8 Microsoft Office. It's got Microsoft Word in it and it
9 has Excel. They both, you know, do different things.
10 You can certainly write a letter in Excel, and you can
11 certainly put numbers into Word, but you use the
12 software that is appropriate for that application. If I
13 used Excel 90% of the time and Word 10% of the time, it
14 doesn't change the cost of Microsoft Office or vice
15 versa. You still have the software that's on the
16 switch, and the provisioner selects whether or not it's
17 going to be optioned as a Feature Group D trunk or it's
18 going to be optioned as a LIS trunk or an intermachine
19 trunk going off to another switch.

20 JUDGE RENDAHL: Did you say a machine trunk?

21 MR. GREENE: Intermachine trunk.

22 JUDGE RENDAHL: Intermachine trunk.

23 MR. GREENE: It's just a trunk that
24 interconnects two switches, and you're just selecting
25 options in a software load that's part of that

0214

1 particular switch. I don't know that it changes the
2 cost at all.

3 JUDGE RENDAHL: So I'm going to go to you,
4 Mr. Linse, next, because I think we went around, but so
5 is it correct to say that the difference between a
6 Feature Group D trunk and an LIS trunk is the software,
7 you would construct them the same, but what would
8 connect one switch to another, you're connecting one
9 switch to another through either fiber optic cable or
10 copper, and the software that communicates between the
11 two switches makes the difference between the Feature
12 Group D and whether it's an LIS trunk or some other
13 variation of trunk, or are they constructed differently?

14 MR. GREENE: My opinion would be is that it
15 is -- and I wouldn't use the word simply software, I
16 would say the software option. There's one software
17 package that's on a switch, and you say I want this
18 trunk to be Feature Group D or you select Feature Group
19 D or however the system is set up, or you select it as
20 LIS based upon the order that's presented to you.
21 There's not a separate disk that you put in and load a
22 different set of software in Feature Group D or a
23 different set of software when it's LIS, it's all
24 inherent to the switch.

25 JUDGE RENDAHL: The trunk itself though is

0215

1 exactly the same?

2 MR. GREENE: Exactly, you could have a LIS
3 trunk on that same card on Monday, click the switch and
4 have it as Feature Group D on Tuesday.

5 JUDGE RENDAHL: Mr. Linse, do you have
6 anything you want to correct or add or clarify from the
7 conversation?

8 MR. LINSE: I can hold that for when I do
9 my --

10 JUDGE RENDAHL: When you do your spiel.

11 MR. LINSE: Yeah.

12 JUDGE RENDAHL: Okay.

13 All right, Mr. Brotherson, did you have
14 anything further you wanted to say on your --

15 MR. BROTHERSON: No, I would just add that
16 whether you click the switch or not, the determination
17 of whether traffic goes over a Feature Group D or a LIS
18 or the determination of whether a call is local or long
19 distance is not driven by what Qwest would like it to be
20 or what Level 3 would like it to be, but there would be
21 a set of rules that would drive that.

22 JUDGE RENDAHL: Okay, who goes next,
23 Mr. Linse or Mr. Easton, or should we take a break?

24 MR. WILSON: Can we take questions?

25 JUDGE RENDAHL: Okay, let's take brief

0216

1 questions, is this still the same Feature Group D issue?

2 MR. GREENE: I guess the question is more
3 procedural.

4 JUDGE RENDAHL: Let's go off the record then.

5 (Discussion off the record.)

6 (Recess taken.)

7 JUDGE RENDAHL: We just heard from
8 Mr. Brotherson and had some conversation, and now we
9 have questions from Level 3.

10 MR. WILSON: Let me just ask a couple quick
11 questions, Larry. The first question is if Level 3, on
12 the issue of combining traffic on single trunk groups,
13 if -- I understand that it would be okay with Qwest if
14 Level 3 combined all -- combined its traffic on Feature
15 Group D trunks, but it's not okay if it combines all its
16 traffic on LIS trunks. And my question is, how much
17 more expensive would it be for Level 3 to do that in
18 paying -- because I understand you would have to pay the
19 rates for Feature Group D trunks, what is the price; can
20 you tell us that?

21 MR. BROTHERSON: No, only in this respect. I
22 have kind of addressed the VNXX and VoIP issues, and
23 Mr. Linse and Mr. Easton really have those issues in
24 their testimony and in their exhibits, and I think
25 they're more appropriate to address questions about

0217

1 combining traffic.

2 MR. WILSON: Okay, I will ask them then.

3 MR. BROTHERTON: I mean I know what the
4 dispute is, and I know what the dueling language is, but
5 I think it's better to ask them.

6 MR. WILSON: No problem.

7 Second question, and first I will ask this
8 with respect to dial-up Internet traffic, and the
9 question is, how would Level 3 need to change its
10 network in order for Qwest to agree to pay originating
11 ISP compensation for that traffic, let's say for all of
12 it?

13 MR. BROTHERTON: I'm not sure what you mean
14 by originating compensation.

15 MR. WILSON: Qwest's customer originates the
16 dial up --

17 MR. BROTHERTON: Call termination.

18 MR. WILSON: Well, the .007 rate, what would
19 Level 3 need to do in order for Qwest to agree that it
20 should pay that?

21 MR. BROTHERTON: The calling and called
22 parties would have to be in the same local calling area.
23 So, for example, in Seattle, Seattle customer is calling
24 a Level 3 ISP customer, I think Mr. Greene's diagram
25 showed that their customer was also in Seattle, that

0218

1 would be a local call because it would be a Qwest
2 Seattle customer calling a Level 3 Seattle customer.

3 MR. WILSON: Okay, so there would have to
4 have the modem banks or similar technology in the local
5 calling area?

6 MR. BROTHERTON: Yes.

7 MR. WILSON: Okay, for each local calling
8 area.

9 And then the second question is for VoIP
10 calls, the same question, how would a -- what would a --
11 how would they have to configure their network such that
12 VoIP calls were local calls?

13 MR. BROTHERTON: The enhanced service
14 provider, VoIP being an enhanced service where there's a
15 net protocol conversion, the enhanced service provider
16 would have to perform that net protocol conversion into
17 TDM and be a customer in the local calling area where
18 the called party is located so that the calling party,
19 in this case the VoIP provider, and the called party are
20 in the same local calling area. Again using Seattle as
21 an example, if your VoIP provider is, your enhanced
22 service provider is converting to TDM and delivering
23 traffic for termination in the Seattle local calling
24 area, any calls to Qwest Seattle end users would be
25 treated as local calls.

0219

1 MR. WILSON: But if, okay, but if the party
2 that's being called was not in the Seattle local calling
3 area, it would not be a local call?

4 MR. BROTHERSON: Correct.

5 MR. WILSON: Okay, what kind of call would it
6 be?

7 MR. BROTHERSON: It would be an interexchange
8 call.

9 MR. WILSON: So that would be a toll call?

10 MR. BROTHERSON: Yes.

11 MR. WILSON: Okay, interesting. So calls,
12 VoIP that QCC is doing would be toll calls also?

13 MR. BROTHERSON: QCC hands off to an IXC for
14 termination any calls that are bound to local calling
15 areas other than where they have purchased local
16 service.

17 MR. WILSON: They're paying long distance
18 rates or access rates then on all of those calls?

19 MR. BROTHERSON: They've got a contract with
20 various IXC's to terminate that traffic, and yes, the
21 IXC pays the terminating access. So if you handed it
22 off to AT&T -- if I might back up. If you have a VoIP
23 provider who's buying local service in Seattle who's got
24 a Seattle telephone number and they want to terminate a
25 call to someone, whether it's in -- a land line RBOC

0220

1 customer, then whether that call is bound for someone in
2 Chicago or someone in Olympia or someone in Bellingham,
3 it's handed off to an IXC for termination, because the
4 caller is in a different -- the called party is in a
5 different local calling area than the calling party.

6 MR. WILSON: I see. So the calls would be --
7 they -- someone, Qwest or QCC, would pay access charges
8 for part of that call then?

9 MR. BROTHERTON: Yes.

10 MR. WILSON: Okay, interesting.

11 Last question for me. I thought I heard you
12 say and I just want a clarification that dial-up access
13 to VoIP is not valid VoIP access, maybe this is a
14 corollary from what you just said, but that dial-up
15 access to VoIP was not really IP access; is that what
16 you said?

17 MR. BROTHERTON: I'm trying to recall my
18 exact phraseology, but it is not, as you know, the
19 definition of VoIP is one of the things we're debating
20 in the agreement, and it is not a VoIP call for purposes
21 of the ESP exemption or treating it as a customer. If
22 it originates on the PSTN, then the only, and it's being
23 handed off for termination on the PSTN, it's IP in the
24 middle. If it originated on the PSTN and never comes to
25 Qwest for termination but rather terminates to someone

0221

1 on broadband, we never see it, and we don't care what
2 happens to it.

3 MR. WILSON: Okay. I don't -- I'm not sure
4 this is pertinent to anything Level 3 does, I was just
5 as an engineer I thought that the Vonage or that the
6 AT&T case was IP in the middle meant transport, IP
7 transport in the middle, not how you accessed I guess.

8 JUDGE RENDAHL: Is that a court case?

9 MR. WILSON: Yes, I was just asking as an
10 engineer his interpretation, yeah, the FCC case.

11 JUDGE RENDAHL: Well, I don't know that we
12 need to interpret cases right now. I think we can do
13 that on briefing and later.

14 MR. WILSON: Thank you.

15 JUDGE RENDAHL: Mr. Greene.

16 MR. GREENE: I have a couple of questions.
17 The first one is on LBB-6.

18 MR. BROTHERRSON: I have it.

19 MR. GREENE: I'm most interested at the
20 depiction at the bottom of the page, the foreign
21 exchange service, and I just want to make sure that I
22 have my nomenclature correct. On the left side of the
23 diagram where the end user actually answers the
24 telephone, is that normally referred to as the closed
25 end of an FX service? And the other end is referred to

0222

1 as the open end, meaning that multiple people on the
2 right side of the diagram could call a number in local
3 calling area B and that would cause the customer's phone
4 in local calling area A to ring?

5 MR. BROTHERTON: I'm not sure how to answer
6 that. The customer's physical location is in local
7 calling area B. That could be, I will just pick a place
8 at random, that could be Bellingham. So you could have
9 a customer's house physically located in Bellingham, but
10 they have no physical connection to a Bellingham switch.
11 The loop, if you will, is in fact a private line that
12 goes all the way to say Seattle, which is local calling
13 area A. Anyone in Seattle could dial that Seattle
14 number, and the customer physically in the house in
15 Bellingham, their telephone would ring. I'm not sure
16 and I'm hesitant to say which is the open end and closed
17 end, because I would want to confirm that before I --

18 MR. GREENE: And perhaps you can maybe answer
19 my question, which, is it the telephone in the blue box
20 buying the FX service, or is it the green box buying the
21 FX service?

22 MR. BROTHERTON: The customer in the green
23 box on the right-hand side in local calling area B buys
24 FX service to connect to local calling area A switch.

25 MR. GREENE: Okay, I had it reversed, so I

0223

1 just want to get clarification on that. So the example
2 you gave of somebody, if B is Bellingham and A is
3 Seattle, multiple people in Seattle can dial this
4 customer in Bellingham, and the folks in Seattle will
5 not pay long distance, it appears like a local number to
6 them, they dial the local number, and it makes the phone
7 in Bellingham ring?

8 MR. BROTHERTON: Yes.

9 MR. GREENE: Can a CLEC offer foreign
10 exchange service?

11 MR. BROTHERTON: Yes.

12 MR. GREENE: Would they do it in a similar
13 manner to Qwest, or would they have to do something
14 different?

15 MR. BROTHERTON: They could have a customer
16 on a long loop, if their switch is in Seattle and they
17 have a long loop off to Bellingham, they could offer
18 someone in Bellingham Seattle service.

19 MR. GREENE: When a call is exchanged between
20 two carriers, doesn't the originating carrier pay the
21 terminating carrier for the service of "termination".

22 MR. BROTHERTON: For local calls they would,
23 for non-local calls they would look to the interexchange
24 carrier.

25 MR. GREENE: Are the customers in Seattle in

0224

1 the FX example making a local call?

2 MR. BROTHERSON: Yes.

3 MR. GREENE: So if the CLEC were offering FX,
4 then there would be that exchange of settlement for the
5 call?

6 MR. BROTHERSON: Yes.

7 MR. WILLIAMSON: Can I, I'm sorry, can I ask
8 a clarification of the last question, and the only adder
9 that I'm confused with your scenario is that the
10 customer in Bellingham is physically in Bellingham, and
11 his telephone is in Bellingham even though the calls are
12 completing to the Seattle switch as local, and all the
13 fees that are appropriate are paid as a local call, but
14 the call is physically answered in Bellingham?

15 MR. BROTHERSON: That's correct, the private
16 line, if you will, is a long loop, special access price,
17 you know, private line price, but it's a long loop. And
18 we don't have a depiction reflecting Mr. Greene's
19 question, but if Level 3 had a long loop to someone's
20 house in Bellingham, Seattle customers would dial that
21 Seattle number, and that too would ring in that house in
22 Bellingham. But they would have -- we would have
23 delivered the call to their Seattle switch, and they
24 would have put the traffic on a long loop. Qwest would
25 not have hauled it up to Bellingham.

0225

1 MR. GREENE: Okay, so the CLEC would have
2 been responsible to haul it from Seattle to Bellingham
3 in offering that service?

4 MR. BROTHERTON: Yes, they would be
5 responsible for the loop to their end user.

6 MR. GREENE: Okay. Is there any prohibition
7 on part of that loop being a private line and part of
8 that loop being IP?

9 MR. BROTHERTON: For their end user?

10 MR. GREENE: For their end user.

11 MR. BROTHERTON: No, not that I'm aware of.

12 MR. GREENE: On LBB-5, you depict a VoIP POP,
13 what is that?

14 MR. BROTHERTON: An enhanced service provider
15 and someone that is in the voice over Internet protocol
16 telephone business that wishes to buy local exchange
17 service would purchase from a telephone company local
18 exchange service, the essence of that being an enhanced
19 service provider or the ESP exemption is the net
20 protocol conversion. So the customer would convert IP
21 packets into TDM and hand them off and then deliver
22 those TDM calls to the local exchange network for
23 termination.

24 MR. GREENE: So if I'm a -- if I want to
25 start Mack's VoIP Service, I have to have a device there

0226

1 that does an IP TDM conversion and also lines bought
2 from some local exchange carrier in every local calling
3 area where I want to offer local service?

4 MR. BROTHERTON: Yes.

5 MR. GREENE: As I have understood, and we
6 talked a little bit about it in this diagram, QCC uses
7 the PRI technology combined with private line to
8 backhaul traffic outside of a local calling area. I
9 don't believe there is any conversion from IP to TDM
10 inside a local calling area. Did I misunderstand how
11 you guys do things?

12 MR. BROTHERTON: Well, there is conversion in
13 the local calling area. I mean if they're buying local
14 service in Seattle and they are acting as a VoIP
15 provider, they would be an enhanced service provider
16 buying local Seattle service, they would convert IP into
17 TDM in Seattle in the Seattle local calling area and
18 then terminate calls to other Seattle end users in the
19 Seattle local calling area.

20 MR. GREENE: So you're saying that QCC puts
21 devices into every local calling area where they offer
22 VoIP service that does an IP to TDM conversion? You
23 just used Seattle as an example, but that was just an
24 example, in every local calling area there's some device
25 doing that conversion?

0227

1 MR. BROTHERSON: Well, they don't purchase
2 local service in every local calling area.

3 MR. GREENE: That they offer service in is my
4 question.

5 MR. BROTHERSON: Yes.

6 MR. GREENE: So there's some type of media
7 gateway or other protocol converter inside of every
8 local calling area?

9 MR. BROTHERSON: Oh, I see what you're
10 asking. Well, they would -- they would purchase local
11 -- they must purchase local service in the local calling
12 area where they seek to be a local customer. If they
13 purchased an FX product under the tariffs, then in
14 theory you could buy local service in Salem and a
15 private line or FX service to your equipment in Seattle.

16 MR. GREENE: Okay.

17 MR. BROTHERSON: But you would buy -- but you
18 would have to buy local service in Salem in order to
19 terminate traffic as local in Salem. And if you didn't
20 buy local service in Salem, they would hand it off to an
21 IXC for termination. Olympia, I'm sorry.

22 JUDGE RENDAHL: That's okay.

23 MR. BROTHERSON: I apologize.

24 JUDGE RENDAHL: Well, is that how QCC does
25 it, purchasing FX service, or is this a confidential

0228

1 discussion?

2 MR. BROTHERTON: It's not confidential. I
3 would have to check though to see if we have any FX in
4 Washington, and I don't -- I can look that up, but I
5 don't know if we're buying any FX in Washington. The
6 only reason that we would buy FX, this network
7 configuration, is if someone in Olympia wanted to
8 subscribe to a VoIP service, and I don't know the answer
9 to that.

10 JUDGE RENDAHL: So do you know exactly, is
11 there a gateway in each local calling area that Qwest
12 QCC wants to serve with VoIP, or do you know?

13 MR. BROTHERTON: A, I don't know.

14 JUDGE RENDAHL: Okay.

15 MR. BROTHERTON: But B, they would -- if they
16 -- they would have to buy local service, and if they
17 bought local service under an FX, under a tariffed FX,
18 they could -- they wouldn't have to have equipment in
19 the local calling area, they could put it on a private
20 line to say back to Seattle. So the -- remember my
21 example of the customer in Bellingham on an FX, their
22 house in Bellingham on an FX but they were actually
23 drawing dial tone in Seattle, they could have their
24 house, their residence, their equipment in Seattle, but
25 they would have a private line and subscribe local

0229

1 service back to Olympia and be buying Olympia local
2 service. If they did, they would be assigned an Olympia
3 telephone number, people in Olympia could call that
4 number, and the ESP could terminate calls in Olympia,
5 but people in Seattle couldn't -- it would be a toll
6 call to reach that telephone number because they're
7 connected to the Olympia switch and the NNX code follows
8 the guidelines of the local exchange boundaries.

9 JUDGE RENDAHL: Okay.

10 Mr. Greene, did you have more?

11 MR. GREENE: I did.

12 So we follow that logic, the -- if you refer
13 back to MDG-3 it shows Spokane there with Level 3
14 private line, Level 3 facilities where --

15 MR. BROTHERSON: Just one second, Mr. Greene.

16 MR. GREENE: Mine, I'm sorry, I changed up on
17 you there. On I think it's the second local calling
18 area down on the left-hand side, it shows Spokane there
19 with Level 3 facilities, a private line. So if Level 3
20 were to offer its customer, and let's just pick one,
21 Microsoft, MSN, offer its customer an FX service or FX
22 like service, and we have that private line that we
23 backhaul it from one side of the state to the other and
24 hand it off to Microsoft who is located just outside the
25 Seattle area, that would be an acceptable architecture?

0230

1 MR. BROTHERSON: Actually, this isn't a
2 private line in the sense that we have just been
3 discussing. This is a trunk to a telephone company that
4 is interposed between the Qwest customer and the Level 3
5 customer. It's a trunk to a telephone company. Their
6 customer is subscribing to local service off of their
7 switch in Seattle, your switch in Seattle.

8 MR. GREENE: So if we could go back to LBB-6
9 then where you described how a CLEC could offer foreign
10 exchange service, what would they need to locate at
11 either end of the circuit to have it qualify as FX?

12 MR. BROTHERSON: For Spokane?

13 MR. GREENE: Yes.

14 MR. BROTHERSON: If they handed the call off
15 to a customer in Spokane --

16 MR. GREENE: No, the call is being handed off
17 on the other end in Redmond.

18 MR. BROTHERSON: That's right, but you asked
19 me what they would have to do. If they handed the call
20 off to their customer in Spokane and their customer had
21 a long loop to their equipment from Spokane, then they
22 would be offering Spokane local service, they would be
23 handing the call off to the end user in the local
24 calling area where the NNX code is assigned, and it
25 would be treated as a local call. I mean you can also

0231

1 hand it off from your switch in Seattle, that's not
2 prohibited activity, it just is not a local call.

3 MR. GREENE: So the network extension into
4 Spokane can not be bundled --

5 MR. BROTHERSON: Let me qualify myself.

6 MR. GREENE: Sure.

7 MR. BROTHERSON: I don't want to say it's not
8 a prohibited activity. The whole issue of whether VNXX
9 should be permitted or it should be routed alternatively
10 is a separate matter that we'll get into in the
11 arbitration and also the Commission will get into. The
12 point I was trying to make is that the question was how
13 would they get call termination for local calls, and my
14 answer was to hand it off in Spokane, and there's a
15 separate question of if we choose not to charge the
16 local call termination, is it then okay to do the NXX,
17 and I think that's a separate debate.

18 MR. GREENE: Okay, fair enough. I guess what
19 I'm trying to understand is Level 3 has a network
20 extension into Spokane that it uses those facilities to
21 bundle services to customers.

22 MR. BROTHERSON: Right.

23 MR. GREENE: You describe it as a trunk
24 between networks, it's not possible for Level 3 to have
25 that component of its network bundled as that "long

0232

1 loop" for a customer.

2 MR. BROTHERSON: Are you asking me a question
3 or --

4 MR. GREENE: Is that possible?

5 MR. BROTHERSON: No. Well, you've got
6 facilities if you wanted to peel off something for a
7 private line, but you would still have to hand the call
8 off to a customer. The facilities that go down to
9 Spokane in your picture are, whether it's your private
10 line which is the blue indications or with some
11 modifications to our exhibit, I understand we've got
12 some corrections to make, but whether it's a blue line
13 which is facilities of Level 3's or a red line which is
14 LIS trunking that's been purchased from Qwest, those are
15 facilities between one telephone company and another
16 telephone company. Level 3 wants them classified as
17 such because telephone company facilities carry all
18 sorts of rules and regulations like reciprocal
19 compensation for local calls, obligations for who has to
20 pay delivery if it's a local call. So by Level 3
21 inserting themselves between the customer and Qwest, it
22 triggers things as a CLEC that an end user VoIP provider
23 couldn't do. But the flip side of inserting a telephone
24 company in the middle of that process means the customer
25 is no longer -- those are no longer facilities of the

0233

1 end user customer to Spokane, those are the CLEC or
2 telephone company's facilities to Spokane, and the end
3 user customer has no facilities to Spokane.

4 MR. GREENE: I'm not sure I follow that, so
5 let's go back to LBB-6 --

6 JUDGE RENDAHL: Let's be off the record.

7 (Discussion off the record.)

8 JUDGE RENDAHL: Let's be back on the record,
9 Mr. Greene.

10 MR. GREENE: So back on LBB-6, there was a
11 customer in Bellingham which was depicted by the green
12 box, and then there were the citizens of the Seattle
13 area which could reach the customer in the green box by
14 calling a phone number that was assigned to the Seattle
15 area. And you said a CLEC could offer this service, and
16 then you have just now gone through an explanation of a
17 customer's facilities versus the carrier's facilities.
18 If I'm a CLEC offering this FX service, what did I need
19 to put into Seattle to serve my Bellingham customer?

20 MR. BROTHERSON: If you were to draw in this
21 very example, assuming local calling area A is Seattle
22 and local calling area B is Bellingham, which is the way
23 we have been talking about it, a Level 3 switch on the
24 left-hand side, local calling area A, which is Seattle,
25 and Level 3 has a long loop to their customer up in

0234

1 Bellingham, then that would be an FX being offered by
2 Level 3. And by inserting themselves in the middle of
3 that connection, it's no longer a connection between a
4 telephone company, for Qwest, it's no longer a
5 connection between a telephone company and an end user,
6 it's now a connection between Qwest as a telephone
7 company and Level 3 as a CLEC, which triggers things
8 like we would then be obligated to pay you call
9 termination, you would be able to buy TELRIC LIS and
10 other things that come with being a telephone company.

11 MR. GREENE: Okay, so I guess -- so the
12 operative thing in that statement was I need to have a
13 switch there now?

14 MR. BROTHERTON: Yes, in the example we just
15 walked through, that is correct.

16 MR. GREENE: Okay, I will stop there.

17 JUDGE RENDAHL: Okay, are there any other
18 questions for Mr. Brotherton?

19 Okay, I think, Mr. Linse, are you next?

20 MR. LINSE: Yes, I think I am.

21 If you want to turn to Exhibit LLB, or I'm
22 sorry, LBB-7.

23 JUDGE RENDAHL: LBB-7?

24 MR. LINSE: Yeah.

25 JUDGE RENDAHL: Okay.

0235

1 MR. LINSE: So basically what this drawing
2 represents is the interconnection of a CLEC alongside of
3 an interexchange carrier. CLEC is competitive local
4 exchange carrier, I don't know if we have actually
5 outlined what that acronym meant today.

6 JUDGE RENDAHL: I don't think we have, thank
7 you.

8 MR. LINSE: And basically they are
9 essentially just ports on a switch. The software in the
10 switch defines what the capabilities of those ports
11 perform. With local interconnection, it is what they
12 call an intermachine trunk. And the intermachine means
13 it's between two machines, the machines namely being
14 switches, and that's kind of how they have been
15 genericized in the telecom -- in the technical side of
16 things. The software, the switch, the differences there
17 are essentially with the Feature Group D, as Mr. Wilson
18 explains, the equal access capabilities of the switch
19 that allows an end user to presubscribe to an
20 interexchange carrier. The Feature Group D
21 functionality allows that functionality to route traffic
22 to the customer's presubscribed carriers.

23 If you take that into consideration for a
24 moment and then you look at Mr. Greene's exhibit that I
25 have up here, and I'm sorry, but I forgot which exhibit

0236

1 this was.

2 JUDGE RENDAHL: I believe this is MG-4.

3 MR. LINSE: MG-4, we have the PRI connection.

4 This type of connection is again a trunk but is also
5 known as a trunk with line side treatment essentially.

6 JUDGE RENDAHL: A trunk with line side
7 treatment?

8 MR. LINSE: Correct.

9 JUDGE RENDAHL: Okay.

10 MR. LINSE: In other words it provides line
11 type service to customers, so it is a service that is
12 provided to end user customers versus the Exhibit LBB-7
13 which represents the connections between carriers. And
14 again, you know, the software basically defines that for
15 the purposes of, as Mr. Greene's Exhibit 4 is, you know,
16 it's -- there's -- the software is designed to provide
17 service to an end user, whereas the trunking that is
18 identified on LBB-7 is utilized for trunking between
19 carriers.

20 JUDGE RENDAHL: So can you give me a concrete
21 example of how this might play out?

22 MR. LINSE: The connection between carriers
23 is for the exchange of traffic of those carriers and
24 users versus the end user, the traffic that is exchanged
25 there is between the carrier and the end user.

0237

1 JUDGE RENDAHL: So, for example, the Feature
2 Group D analysis, that would be the IXC, for example,
3 would be AT&T?

4 MR. LINSE: Correct.

5 JUDGE RENDAHL: And with a Qwest switch. So
6 AT&T makes the arrangements for the trunk and tells
7 Qwest which end user presubscribed to AT&T?

8 MR. LINSE: Actually AT&T would subscribe to
9 the Feature Group D service, and then the end user
10 customers when they would subscribe to local service,
11 they would be asked what their long distance -- who
12 their long distance company they would like to subscribe
13 to would be. And then based on that query from, for
14 example, a Qwest, you know, service representative, they
15 would take that information, and when they set up the
16 line service for that customer, they would make sure
17 that that -- that the carrier identification code that
18 Mr. Wilson talked about was translated against that
19 customer's line so any time they dial 1-plus, that would
20 go automatically to that carrier.

21 JUDGE RENDAHL: Okay.

22 MR. LINSE: The carrier of the customer's
23 choice.

24 JUDGE RENDAHL: So for the PRI connection
25 example, I call Qwest and say I want VoIP service

0238

1 through QCC, the end user isn't QCC, the end user is me?
2 I'm just trying to get a sense of how this works.

3 MR. LINSE: Well, if you want VoIP over IP,
4 you would have to go to a company like QCC to obtain the
5 voice over IP type service. QC would not provide a
6 voice over IP service.

7 JUDGE RENDAHL: So QCC is arranging for the
8 PRI connection with Qwest?

9 MR. LINSE: That is correct.

10 JUDGE RENDAHL: So how is that different than
11 Feature Group D if QCC is the end user?

12 MR. LINSE: Because they subscribe to the
13 PRI, the PRI is an end user service, it's provided to
14 them as an end user where an interexchange carrier would
15 come to Qwest and say, I want all my customers' traffic
16 routed to me versus this PRI where they're just
17 obtaining local service.

18 JUDGE RENDAHL: So it's a dedicated line?

19 MR. LINSE: Correct.

20 JUDGE RENDAHL: As opposed to the Feature
21 Group D, which is not a dedicated line?

22 MR. LINSE: Correct.

23 JUDGE RENDAHL: So the connection between QCC
24 to its end users goes over the Internet?

25 MR. LINSE: Yes, I think --

0239

1 MR. SMITH: From a VoIP --

2 JUDGE RENDAHL: You both can't talk at the
3 same time, so Mr. Linse first.

4 MR. LINSE: From a VoIP context from the
5 Internet, yes, that would go across the Internet.

6 JUDGE RENDAHL: So QCC does not need to
7 purchase individual lines to its customers?

8 MR. LINSE: That's the one benefit of with
9 like voice over IP is those connections are not
10 necessarily have to be purchased by the VoIP provider.
11 The end user subscriber who has a broadband connection
12 would obtain that connection however they do it, either
13 through a cable modem or DSL or, you know, YMax or
14 whatever type of technology they use in order to get the
15 broadband connection, that would be the connection that
16 would be utilized for the VoIP call flow.

17 JUDGE RENDAHL: Okay, sorry to interrupt.

18 MR. LINSE: No problem.

19 That's all I was really planning to do with
20 LBB-7.

21 Then I wanted to turn to Mr. Wilson's exhibit
22 that has the Power Point slides, and I'm not, again, I'm
23 not remembering exactly --

24 MR. SMITH: It's KLW-3 I believe.

25 MR. LINSE: KLW-3.

0240

1 JUDGE RENDAHL: Yes.

2 MR. LINSE: And I just wanted to go through
3 this particular exhibit and just point out some of the
4 places where we differed or where we're the -- we're
5 basically agree.

6 JUDGE RENDAHL: Now this is basically going
7 into the argument the parties have, is there a
8 technical --

9 MR. LINSE: Yeah, there is, everything I'm
10 going to talk about is fairly technical.

11 JUDGE RENDAHL: Okay, let's go ahead.

12 MR. LINSE: There's, in the second item down
13 where it says Level 3's position, there's no technical
14 or billing impediments that prohibit Level 3 from
15 combining traffic of all types. Qwest, from a technical
16 perspective, there are a couple issues that Qwest has
17 with the technical capabilities of our network. And the
18 first one is for, well, from a billing perspective it's
19 because we have wholesaleswitching customers, in other
20 words our old UNE-P type services, there are some
21 billing that needs to take place there that Mr. Easton
22 can explain more fully, however, the result of having
23 wholesale switching is essentially providing Qwest type
24 service and reselling it on a UNE basis by competitive
25 local exchange carriers.

0241

1 And the problem comes down is when you look
2 at the language that was proposed by Level 3 where they
3 say that they will not send traffic to I guess it's
4 transit limitation, they will not send traffic to
5 telephone numbering codes or NPA-NXX's that home off of
6 Qwest's switches of other carriers. The problem with
7 that is that with wholesale switching, those numbering
8 resources are Qwest numbering resources, so there's no
9 real way to distinguish whether or not a particular call
10 is destined for one of these wholesale switching
11 customers. And so that would prohibit us from providing
12 that wholesale switching customer with a bill or a
13 record in order for that carrier to properly bill for
14 the traffic that either originates or terminates to that
15 carrier's customer.

16 JUDGE RENDAHL: So you're saying there's a
17 problem in getting that ATIS record?

18 MR. LINSE: And it's not really the record so
19 much as it won't ever be created, because of the way
20 that Level 3 proposes to send that traffic to Qwest, it
21 will not create, there will not be any recording
22 capabilities that translate into a record that's
23 provided to the wholesale switching customer, i.e., the
24 competitive local exchange carrier that buys the
25 wholesale switching from Qwest.

0242

1 MR. EASTON: I will get into that.

2 MR. WILLIAMSON: So you will say why?

3 MR. EASTON: Yeah.

4 MR. WILLIAMSON: Okay, I will let you off the
5 hook.

6 MR. LINSE: So that's the one aspect of that
7 issue.

8 The analysis for Level 3's position is
9 practical and efficient. Qwest's proposal essentially,
10 I mean when you look at that page as well as page --
11 when we talk about efficiency of trunking, essentially
12 Level 3 is saying that they want the ability to have
13 efficient trunking by establishing one network. The
14 exact same efficiencies are obtained by routing over
15 Feature Group D we offer that Qwest has provided Level
16 3, and there's no technical difference in the
17 efficiencies of routing the way they're routing or the
18 way that they wish to route and the way that Qwest has
19 proposed to route, so there's really no technical
20 difference there as far as efficiencies.

21 MR. WILLIAMSON: I'm sorry, I've just got to.
22 There's no technical difference, but there's a price
23 difference, and I'm struggling with why there is a price
24 difference between Feature Group D and the LIS trunks,
25 because we really haven't come up with a reason.

0243

1 MR. LINSE: And I think those price
2 differences are based on the underlying regulatory
3 application of how those -- how the companies compensate
4 one another for the traffic.

5 MR. WILLIAMSON: So not taking into account
6 access charges, the price for a Feature Group D trunk is
7 still more expensive than a LIS trunk or not?

8 MR. LINSE: It's based on the tariff, I'm not
9 exactly sure what the differences are. I think that's
10 probably the main difference is one is tariff, and the
11 other one is based on the interconnection --

12 MR. BROTHERTON: I would suspect if transport
13 is TELRIC priced on LIS that our access products are not
14 TELRIC priced.

15 MR. WILLIAMSON: Thanks.

16 MR. LINSE: I think that's a fair conclusion.

17 And then on the drawing with the arrows, I
18 think drawing number 2.

19 JUDGE RENDAHL: Page 2.

20 MR. LINSE: I'm sorry, page 2, Qwest's
21 proposal is that Level 3 combine both the inter and the
22 local and intraLATA toll onto one trunk group, so this I
23 wouldn't say fairly represents what Qwest's proposal is,
24 because Qwest's proposal would allow the traffic to flow
25 over a single trunk group. The one piece that this does

0244

1 omit, which is the transit traffic, in other words the
2 traffic that originates either on Level 3's network or
3 from an interexchange carrier and terminates to, for
4 example, an independent company.

5 JUDGE RENDAHL: Now is transit traffic, I
6 know transit traffic is an issue in other circumstances,
7 is it an issue in this case?

8 MR. LINSE: It is an issue in this case.
9 There doesn't seem to be language -- or the transit
10 limitation is what is supposed to cover that particular
11 issue. However, then it becomes more of a language
12 dispute based on the terminology that's used within the
13 contract. Homing arrangements can mean many different
14 things, and the homing arrangement could be interpreted
15 to actually allow the traffic that Level 3 wishes or
16 says that they are not going to send to us. Because you
17 can home a switch off of -- an end office switch off a
18 tandem switch, the NXX's look like they are homed off of
19 a tandem switch. And if it's a Qwest tandem switch,
20 then it would essentially allow independent company
21 traffic to be routed across Qwest's switch or through
22 Qwest's switch. This then brings in that similar
23 problem that I talked about earlier with the wholesale
24 switching where Qwest then is unable to create the
25 appropriate record in order to provide an independent

0245

1 company in order for the independent company to then
2 charge the interexchange carrier.

3 JUDGE RENDAHL: Because the record does not
4 travel with the call?

5 MR. LINSE: When -- the functionality of a
6 Feature D trunk allows Qwest to create a recording, and
7 then this recording is done based on industry standards,
8 and it's called an 1101 record. These records are
9 shared between carriers for long distance traffic. When
10 you have connection with Qwest over a local
11 interconnection trunk, those recordings don't occur in a
12 manner that will establish that record, create the
13 record so that it can be shared between the carriers.

14 MR. WILSON: I guess I thought the meet point
15 trunks at the bottom covered that issue. We tried to
16 break those out for that very reason.

17 MR. LINSE: Well, just to respond to that,
18 the meet point trunks that are identified below there
19 are typically what they call jointly provided switched
20 access type trunking, which allows basically the carrier
21 identification code or the Feature Group D signaled type
22 traffic. So the traffic that's destined for an
23 interexchange carrier, by utilizing that carrier
24 identification code those trunks are specific for those
25 types of calls, in other words for traffic that was

0246

1 destined for an interexchange carrier.

2 So, for example, Level 3 end user, let's say
3 they have typical telephone customers, you know, local
4 exchange service with dial tone and customers that pick
5 up their phone and dial their friends and family. A
6 Level 3 customer picks up the phone, dials 1-plus to
7 their grandmother. And let's assume for the sake of
8 argument that we're using that that customer has
9 preselected or presubscribed to AT&T's long distance.
10 That call would basically enter the network through
11 Level 3's switch, Level 3's switch would basically
12 identify that this is a 1-plus call, and that subscriber
13 is -- has preselected AT&T for their long distance
14 provider. Level 3 switch would then signal the carrier
15 identification code into Qwest's switch. Because Qwest
16 has the access tandem, that's typically where
17 interexchange carriers pick up the traffic, and that's
18 the whole purpose of the Feature Group D trunks is to
19 allow that single point in the LATA for interexchange
20 carriers to pick up that traffic. Okay, so that traffic
21 will route then to Qwest over these meet point trunks,
22 which then the Qwest switch will then route to AT&T, and
23 then AT&T will then carry that call long distance to the
24 terminating LEC's network.

25 Transit traffic on the other hand does not --

0247

1 is not covered by this because there is no carrier
2 identification code associated with that traffic. It's
3 merely transitting the network, thus there is no --
4 because Level 3 is wanting to route Feature Group D
5 traffic to Qwest, there is no CIC code that's associated
6 with that traffic that they're delivering to Qwest,
7 therefore Qwest has no way to record that traffic in
8 order to then create the record to provide to the
9 terminating LEC.

10 In the instance where the Level 3's end user
11 dials 1-plus to grandmother, that -- Level 3 would
12 establish that record at the end office. On the other
13 end of that call where AT&T then hands that to the
14 terminating LEC to the Level 3's customer's grandmother,
15 that is where that call would then route back into the
16 LEC network over a Feature Group D trunk.

17 Now taking it from the delivery of AT&T into
18 the LEC network, that traffic is then recorded at the
19 tandem, and then it's a tandem provider's responsibility
20 then to provide the records necessary for any other
21 LEC's that are in that call flow. So if that -- so if
22 that traffic then terminates directly to Qwest's end
23 users, Qwest would create that recording, and Qwest
24 would bill that interexchange carrier for the
25 termination of that call, it's also called terminating

0248

1 access. If that call was then terminating to an
2 independent company, that call would come into Qwest's
3 switch, Qwest would then route it to that independent
4 company based on their NPA-NXX, and Qwest would create
5 the recording, and then we would share -- we would both
6 charge the interexchange carrier for that traffic. So
7 Qwest would charge for its switching and transport,
8 portion of the transport, and then the independent
9 company would charge for its switching and its portion
10 of the transport, and both would charge that to the
11 interexchange carrier. Under Level 3's proposal, that
12 record would not be created.

13 JUDGE RENDAHL: And is that because, and I
14 hope I'm not beating a dead horse here, but the software
15 for a Feature Group D trunk records the CIC or the
16 recording information, but the interconnection trunk
17 does not, the software does not; is that the difference?

18 MR. LINSE: It is the translations of that
19 into a record. There is no process or no mechanized
20 method in order for that information to be translated
21 into a record to provide to the independent companies.

22 JUDGE RENDAHL: So it doesn't matter whether
23 it's a Feature Group D or an interconnection trunk, I
24 guess I'm not getting what it is that prevents the
25 record from being translated.

0249

1 MR. EASTON: It's the systems that are
2 associated with either LIS trunks or Feature Group D.
3 Record creation systems associated with LIS trunks can
4 not create this access record that would be passed on to
5 the independents. Feature Group D has that capability,
6 the system that lies behind it I should say has that
7 capability, the record can be produced, passed on to the
8 independent for those purposes.

9 JUDGE RENDAHL: So it is the difference
10 between Feature Group D interconnection and the software
11 and the system behind them?

12 MR. EASTON: The system behind them, it may
13 not be the trunk itself, but the system behind the
14 trunk.

15 JUDGE RENDAHL: The programming for the
16 trunk?

17 MR. EASTON: Right, there are billing
18 differences and records creation differences with
19 Feature Group D trunks and the local interconnection
20 trunks.

21 JUDGE RENDAHL: Okay, thank you.

22 MR. LINSE: And there are circumstances where
23 -- I mean Level 3 is attempting to address that, but the
24 unfortunate thing is that can't be done cleanly. With
25 number portability, if calls are not queried coming in

0250

1 to Qwest's network, some of that traffic can slip
2 through into other networks. And I'm sure you're aware
3 of some of the phantom traffic issues that are going on
4 right now, that just adds to that amount or that type of
5 traffic. By allowing a LIS type trunk group to carry
6 access type traffic, you will run into more situations
7 with phantom traffic.

8 JUDGE RENDAHL: Okay, did you have more you
9 wanted to go into?

10 MR. LINSE: On page 3, the combining of
11 traffic, again I went -- all of these statistics apply
12 to the Feature Group D trunk option that Qwest has
13 offered Level 3. You know, again, there's no difference
14 between the efficiencies that are gained by routing over
15 LIS over versus feature group D.

16 And on page 4, combining traffic causing
17 misrouting, Qwest does not have a problem with
18 misrouting based on this architecture. It's not an
19 issue that Qwest has risen. And then the increase of
20 fraud is also not an issue associated with Qwest's
21 position or testimony or technical anything, so.

22 And with that, I think that pretty much
23 concludes kind of where I'm at with this, so if you have
24 any questions.

25 JUDGE RENDAHL: I think Mr. Williamson may

0251

1 have one.

2 (Discussion off the record.)

3 MR. WILLIAMSON: Let me pose it real quickly
4 then, I just want to make sure that I understand the
5 difference between Feature Group D and LIS trunks and
6 what they provide. Because for a while we talked about
7 them as being pretty much the same, not talking about
8 the electric characteristics of the trunk but the data
9 that they provide, the billing data they provide, and
10 LIS trunks do not provide any kind of record as to the
11 call that passed through it, but a Feature Group D trunk
12 can, I'm not sure it always does, but can provide a
13 detailed recording that can be used for billing between
14 carriers; is that right?

15 MR. LINSE: Yes, that's correct. However,
16 and this -- I kind of go into this in some of my
17 testimony I believe about the different recording
18 capabilities on a Feature Group D trunk versus a LIS
19 trunk. Feature Group D trunks are switch based
20 recordings. You know, that's how feature -- the
21 information is recorded with a Feature Group D trunk.
22 With a local interconnection trunk or a LIS trunk, Qwest
23 utilizes link monitoring, which uses the SS7 network, in
24 other words the information that comes across through
25 the SS7 stream in order to record the traffic on that

0252

1 type of trunk group.

2 Because you have went from pre '96 of having
3 access traffic or long distance traffic versus local
4 traffic, and local traffic was there was no compensation
5 on local traffic, there was no need to have a recording
6 mechanism in order to set up on those types of trunks.
7 So after '96, then there was a development in order to
8 record the local traffic on those trunk groups. The
9 difference is the Feature Group D does not go into a
10 recording of a record -- creation of a record in order
11 to -- like a 1101 record.

12 MR. EASTON: And just to follow up, Feature
13 Group D has billing systems with Qwest associated with
14 it that allow Qwest to bill the appropriate tariff rates
15 for Feature Group D. LIS does not have that same
16 capability.

17 JUDGE RENDAHL: You will need to speak into
18 the mike.

19 MR. EASTON: I usually don't have a problem
20 with not being heard.

21 So there's a billing issue, and then as Phil
22 was also discussing, there's a record creation issue.
23 Feature Group D has the capability to produce that
24 access record and pass it to other parties. The LIS
25 trunks do not have that capability associated with them.

0253

1 JUDGE RENDAHL: Do you have any other
2 questions?

3 MR. WILLIAMSON: No.

4 JUDGE RENDAHL: Okay, I have one question.

5 If you look at the Power Point KLW-3 on page 3, the
6 combining traffic facts, I just wanted to clarify, you
7 said that Qwest's proposal would address all of these
8 issues. Maybe I'm -- am I misstating you?

9 MR. LINSE: Yes. No, you're not misstating
10 me. It would address all of these issues, and actually
11 it would actually be better. Because in order to route
12 transit traffic and since -- if Level 3 is saying that
13 they're not going to route transit traffic to Qwest,
14 that means they have to establish another trunk in order
15 to get that to the terminating carrier. Qwest's Feature
16 Group D option does not prohibit them from routing that
17 transit traffic across that trunk group. So in a sense,
18 the Feature Group D proposal that Qwest is offering to
19 Level 3 actually provides them more efficiencies,
20 because they have to have fewer trunk connections.

21 JUDGE RENDAHL: Okay, and I want to focus on
22 the billing, my understanding is that Qwest is not
23 proposing a percent local use and percent interstate use
24 analysis; is that correct?

25 MR. LINSE: Bill I think is going to touch on

0254

1 that in his -- he might be a better person to --

2 JUDGE RENDAHL: Okay, I will hold my question
3 then.

4 Any other questions?

5 Okay, any questions from Mr. Level 3 for
6 Mr. Linse?

7 MR. GREENE: Just a couple of quick ones
8 here. One of the architectures we talked about in the
9 case of VoIP was PRI and use private service to backhaul
10 that to wherever your switch or customer may be. First
11 question is, can that be used in both directions, can
12 calls come in and can calls go out?

13 MR. LINSE: I guess I'm not clear on what you
14 mean by calls go in and calls come out.

15 MR. GREENE: If there is a VoIP customer in
16 calling area B let's say, and their VoIP provider buys
17 PRI's in calling area A, can that VoIP customer make
18 calls out to calling area A across those PRI's?

19 MR. LINSE: Do you have a drawing that you
20 can kind of maybe direct me to to make sure that I'm --

21 MR. GREENE: I don't believe it was in our
22 drawings, but we talked about it at a number of
23 technical conferences where it was expressed that one of
24 the options that Level 3 had was to get PRI or PRI
25 service, and I'm just trying to clarify if that isn't --

0255

1 I probably should have asked that question first then,
2 is that an option for us in Washington?

3 MR. LINSE: Yeah, any customer can purchase a
4 PRS or PRI under the tariff.

5 MR. GREENE: Okay. And can you make -- can
6 you have calls leave your network as well as come to
7 your network across that PRI?

8 MR. LINSE: Based on the configuration of
9 that PRI, that could be an option that would be
10 technically possible and would be acceptable.

11 MR. GREENE: Okay. And you talked about that
12 the switch would have a trunk side connection, is that
13 -- am I saying that correctly for the PRI service?

14 MR. LINSE: It's a trunk board on the switch
15 with basically a line service to it.

16 MR. GREENE: So if I were to follow that
17 architecture, which you're saying is allowable, how are
18 the 1101 records created for the calls going out the
19 other direction?

20 MR. LINSE: What other direction?

21 MR. GREENE: If I have dialed out through my
22 PRI, how are 1101 records created to go to these other
23 carriers, the wholesale customers, these other folks
24 with the PRI?

25 MR. LINSE: End user customers don't receive

0256

1 1101 records, it's a carrier -- I mean it depends, do
2 you want to do business as an end user, or do you want
3 to do business as a carrier? So you first of all have
4 to make that decision. Then based on that decision,
5 then you configure your network.

6 MR. GREENE: All right, well, let's say I'm
7 an end user buying a PRI, and I make a call to one of
8 your wholesale former UNE-P customers that would
9 normally receive a phone record for use of that call, I
10 bought your PRI, and I backhauled it out of the local
11 calling area with a private line to another local
12 calling area, how does the wholesale customer get the
13 record that explains to them what happened on that call
14 so they can charge for it?

15 MR. LINSE: That is a service that is
16 provided by the PRI, which is a line service, so it's a
17 service that's provided to the end user. They would
18 receive whatever -- I'm not sure if they receive local
19 -- the local compensation or if it's just the access.

20 MR. BROTHERTON: There's no record, it's a
21 local call to the VoIP provider under the ESP exemption.
22 They don't pay access, they don't charge access, they're
23 treated as an end user, they can buy local service. So
24 when people in Seattle call the VoIP provider, if they
25 bought local service, the local Seattle service, it's

0257

1 just a local call. It might be on a private line and
2 they might be sitting in a building 50 miles up the
3 road, but it's still going to be a local call.

4 MR. GREENE: But I bought the service from
5 Qwest, I didn't buy it from your resale customer, I
6 didn't buy from another independent.

7 MR. BROTHERSON: You bought what service from
8 Qwest?

9 MR. GREENE: The PRI.

10 MR. BROTHERSON: That's a local service out
11 of our tariffs.

12 MR. GREENE: I know, but how does the
13 independent or the wholesale customer get their call? I
14 thought it was important that these people receive
15 records to be able to bill for it, but now I can buy a
16 PRI and I don't get -- so I'm confused.

17 MR. BROTHERSON: Well, under the guidelines
18 it's treated as a local call.

19 MR. LINSE: And, for example, if the
20 independent company does not have local connection with
21 Qwest for where you have purchased your PRI, their
22 customer would have to dial 1-plus in order to have
23 their traffic. If an independent company's customer
24 dials this PRI and it's across local calling area
25 boundaries, that independent company's customer would

0258

1 have to dial 1-plus, it would go to their presubscribed
2 interexchange carrier, that then traffic would go to the
3 interexchange carrier, would then come back into the
4 Qwest network, Qwest would then route it to the PRI
5 based on the number resources assigned to that PRI
6 service.

7 MR. BROTHERSON: If I might interject --

8 MR. LINSE: And access would then apply, and
9 records would be created under that scenario.

10 MR. BROTHERSON: I think we're missing some
11 information in the question. If the only people in a
12 particular local calling area are Qwest customers and
13 that's where the FX is purchased, then all of those
14 customers' calls to that number are local calls. Are
15 you assuming there's an independent in the local calling
16 area?

17 MR. GREENE: If it's shared with Sprint or
18 you share --

19 MR. BROTHERSON: Okay, then --

20 MR. GREENE: -- a calling area with Verizon.

21 JUDGE RENDAHL: Let's please not talk over
22 one another. Wait until the other person is done.

23 MR. GREENE: It's a pretty --

24 JUDGE RENDAHL: Mr. Greene, just wait, okay.

25 Mr. Brotherson, are you done?

0259

1 MR. BROTHERSON: I think I was.

2 JUDGE RENDAHL: Okay, Mr. Greene.

3 MR. BROTHERSON: So you're assuming multiple
4 independents in the -- of both -- an independent and
5 Qwest in the same local calling area, say Seattle local
6 calling area, and you're asking if access records are
7 provided to that independent; is that the question?

8 MR. GREENE: Yes, that was the question.
9 Mr. Linse had brought up the issue of wholesale
10 customers of Qwest and independent companies' ability to
11 receive records to bill for access calls. And so what I
12 am now hearing is that that's important if we are using
13 our network or using LIS trunks, but if we buy retail
14 PRI services from Qwest, those independents and other
15 wholesale customers don't have anything to worry about.

16 MR. BROTHERSON: Mr. Easton will I think talk
17 about QPP, but the wholesale customers he was referring
18 to were the customers that buy the wholesale switching,
19 that's a different product from the QCC product. But
20 there is a question, should -- if an independent
21 telephone company and Qwest both have end users in a
22 local calling area, and Qwest sells FX product to
23 someone, and it goes up to their home in Bellingham,
24 should access charges be paid on FX calls. And to date,
25 no state has ever imposed access charges on FX calls,

0260

1 they have treated them as local calls. It's a
2 recognized way of providing local service plus the
3 private line piece, and to my knowledge it's never been
4 imposed. But that's a different type of example than
5 the wholesale switching that we were talking about
6 earlier.

7 MR. GREENE: Yeah, that's one end of it, I
8 guess a body of customers or carriers that were to
9 receive records and not a particular product that was
10 being purchased on this particular call flow.

11 MR. BROTHERSON: Well, I don't want to step
12 on Mr. Easton's stuff, but if you buy the unbundled
13 product, QPP now, UNE-P before, if you buy that product,
14 one of the things the CLEC's expect to be able to do is
15 bill long distance carriers access, and they look for
16 records to do that.

17 MR. GREENE: But they don't expect to --

18 MR. BROTHERSON: But the independents have
19 not historically looked at billing Qwest for any calls
20 that their customers might have made to an FX customer
21 that's purchasing local service in those same local
22 exchange areas and then putting it on a private line.
23 An argument I guess could be made that access should
24 apply to FX too, the times have changed, but there is
25 not an expectation for access on FX, and there is no

0261

1 access records created for the FX customer as an end
2 user. There is an expectation of access records being
3 produced, and the person who bought the UNE-P or now the
4 QPP, they do expect to bill long distance carriers
5 access for the use of their loops, and there is an
6 expectation that records would be created there.

7 MR. GREENE: Thank you.

8 You mentioned that the movement from LIS to
9 Feature Group D was just a software change that would
10 need to happen, in your testimony you stated we just
11 merely need to place an order for the software change?

12 MR. LINSE: Yes.

13 MR. GREENE: What happens to the calls that
14 are active when that software change takes place?

15 MR. LINSE: What calls?

16 MR. GREENE: Well, we have 35,000 trunks, I
17 doubt there is any period during the day in which none
18 of those trunks are being used by anyone.

19 MR. LINSE: Well, then those trunks wouldn't
20 be basically converted all at once. It would be a
21 project that you would have to set up with Qwest, and
22 Qwest would then manage the migration of those orders
23 such that it doesn't impact the services.

24 MR. GREENE: Is there a price list for the
25 software changes somewhere that we could get access to?

0262

1 MR. LINSE: Sure, we could probably set you
2 up with that if you guys wanted to go forward with
3 something like that.

4 MR. GREENE: Okay, that's all I have.

5 JUDGE RENDAHL: Okay, any other questions
6 from Level 3?

7 MR. WILSON: Just a couple of quick ones. On
8 the wholesale switching customers, these are former
9 UNE-P customers, do you have any idea how many lines
10 that represents in Washington?

11 MR. LINSE: I think about somewhere around
12 100,000 maybe. I think Bill might either confirm that
13 or not.

14 MR. EASTON: That's combined res and bus
15 lines.

16 JUDGE RENDAHL: Combined residence and
17 business lines?

18 MR. EASTON: Yes.

19 MR. WILSON: And is this really effectively
20 resale, or is it kind of a hybrid; I guess I don't know
21 what it means --

22 MR. LINSE: It is the former UNE-P, which is
23 unbundled switching.

24 MR. WILSON: But do the CLEC's who are doing
25 this, do they get access, do they collect access revenue

0263

1 off of these?

2 MR. LINSE: That's my understanding, they do.

3 JUDGE RENDAHL: And we are talking about QPP?

4 I'm not sure what it is that we're talking about.

5 MR. LINSE: I believe we are talking about

6 QPP here.

7 JUDGE RENDAHL: Thank you.

8 MR. LINSE: That's what I'm talking about.

9 MR. WILSON: So they keep the access charges
10 but they don't control the telephone numbers, that's I
11 believe what -- is that correct?

12 MR. LINSE: It's a Qwest switch, therefore
13 Qwest telephone numbers.

14 MR. WILSON: Okay, I think all the rest of my
15 questions got answered during the discussion.

16 JUDGE RENDAHL: All right, well, let's move
17 on now to Mr. Easton unless anyone else has any other
18 questions.

19 Okay, you're on.

20 MR. EASTON: All right, I think this will
21 probably be relatively brief, we have answered a number
22 of the things that I was going to go over in this
23 incredible presentation. We talked about the
24 differences in billing and record creation capabilities
25 between Feature Group D and LIS, and I would like to

0264

1 explore that a little bit more here in the next few
2 minutes. Feature Group D does have the capability to
3 appropriately bill for switched access. LIS does not
4 have that capability. In order for Qwest to build in
5 that functionality, it would be very resource intensive
6 to do that.

7 When this has been pointed out to Level 3,
8 Level 3 says, well, there's really no need to build that
9 in, we can use the system of factors, which is what you
10 were referring to earlier, and Qwest has some problems
11 with the system of factors. Although looking at it, it
12 looks like there's just three factors, you know, you've
13 got a PIU, a PIPU, and a PLU, in fact it gets a little
14 more complicated than that. And the reason it gets a
15 little more complicated is because switched access has a
16 number of components related to it, one of which is
17 distance sensitive transport. So in other words, you
18 pay different rates depending on how long the transport
19 is. So that becomes, if you will, another factor, each
20 trunk group is going to have some sort of distance
21 associated with it. And we talked about having 35,000
22 trunk groups I believe in the state, and then you've got
23 the PIU, PLU, PIPU, it becomes more complicated than
24 just three factors applying a rate.

25 So then the question is, you know, what would

0265

1 it take to mechanize that system, and we're back to the
2 problem we just talked about, that would be pretty
3 resource intensive. We have -- Qwest already has a
4 system that would allow to bill for both local and for
5 Feature Group D, now we're talking about having to build
6 another system to deal with using these factors, so it's
7 a resource issue again. And Qwest estimates it would
8 cost somewhere between \$1 Million and \$2 Million to
9 implement this system of using these factors. It's not
10 a capability that we have today.

11 The other problem that Qwest has with the
12 factors is that by their very nature you're dealing with
13 estimates. You're doing traffic studies at some time
14 period in the past, and based on what the traffic flows
15 were at that time, you're estimating that the traffic
16 flows in the future are similar, and that is an
17 estimate. And, you know, how accurate that is I can't
18 tell you, but I can tell you with some certainty that
19 it's not as accurate as the current Qwest system that
20 uses actual traffic as the basis for the billing. So
21 that is the billing issue.

22 The second issue is the records creation
23 issue. As I mentioned, we pass off records to
24 independents, to other CLEC's, so that they can bill for
25 their portion of the switched access. To the extent

0266

1 that traffic comes over LIS rather than Feature Group D,
2 Qwest systems don't have the capability to produce those
3 records. Now Level 3 has recognized this, and they have
4 added some new language here, I believe it's in issue
5 2C, and they say in essence, Qwest, for those kinds of
6 calls that are going to independents or CLEC's, we won't
7 drop that off to you. And I know Mr. Linse has some
8 problems with the language, and, you know, we can
9 address that in the arbitration hearing itself, but
10 there is another problem associated with that, and
11 that's this QPP, which stands for Qwest Platform Plus
12 customers, and these were the former UNE-P customers you
13 probably recall.

14 Qwest provides switched access records to
15 those customers so that they can bill switched access to
16 the interexchange carriers. Now Level 3 can determine,
17 look, this is a call destined for another CLEC, this is
18 a call destined for another independent, I'm not going
19 to send that to Qwest for them to pass it on, I can
20 avoid the records problem that way. But Level 3 can not
21 determine that, gee, this is a Qwest QPP customer as
22 opposed to just a regular Qwest end user. Both the
23 numbers for those parties are assigned out of the
24 switch, they are Qwest numbers, there's no way short of
25 Qwest providing a table of those numbers, which, you

0267

1 know, that's privileged information, we would not be
2 able to reveal that, there is no way to disaggregate
3 that traffic from other traffic that's being terminated
4 to Qwest. So we still have the records issue for those
5 roughly 100,000 customers, QPP customers in Qwest.

6 So again, we've got a billing issue, we've
7 got record issues, and I guess more importantly there's
8 no need to deal with any of those issues. We already
9 have a system in place that lets all types of traffic be
10 combined over a single trunk group, allows Level 3 to
11 recognize the network efficiencies they desire, and lets
12 Qwest continue to use the systems and processes that we
13 have invested in, and I just don't see a reason we need
14 to go on with this proposal.

15 JUDGE RENDAHL: Okay, well, argument aside
16 which we can do more with at the arbitration hearing,
17 Mr. Williamson, do you have any -- I'm sorry, do you
18 have any further discussion?

19 MR. EASTON: No, that concludes.

20 JUDGE RENDAHL: Okay, Mr. Williamson, do you
21 have any questions for Mr. Easton?

22 MR. WILLIAMSON: No, I don't.

23 JUDGE RENDAHL: On a technical basis.

24 MR. WILLIAMSON: Just really quickly, from
25 what I understood you to say, for a number of reasons

0268

1 the question for mixing traffic comes down to a price, a
2 cost issue. Qwest has a way to do it on Feature Group
3 D, which is more expensive. Level 3 would like to see
4 it on LIS trunks, which is less expensive. Technically
5 there's not an issue with mixing traffic on Feature
6 Group D like Level 3 would like to do, and if you could
7 sell it to them at the same price as LIS, they probably
8 wouldn't have a problem with Feature Group D, is that --
9 so it really is a cost issue, not a technical issue?

10 MR. EASTON: Well, it's not a technical
11 network issue, but it is a technical issue in terms of
12 the capabilities of our billing systems and record
13 systems. You're right, it's a cost issue, but not only
14 to Level 3, but it's also a cost issue to Qwest in terms
15 of investing in systems. So, you know, both parties
16 have cost issues with this.

17 JUDGE RENDAHL: Okay, I don't have any
18 technical questions based on your presentation.

19 Does Level 3 have any questions for the
20 witness?

21 MR. WILSON: A couple, Your Honor. To that
22 cost issue, I thought what Mr. Williamson was asking is
23 you could use the methodology that you're currently
24 using for Feature Group D trunks for combined traffic on
25 a LIS trunk; isn't that correct? I mean you just use --

0269

1 you just turn it on on those trunks, I mean what's the
2 difference?

3 MR. EASTON: When you say the functionality,
4 what are you referring to?

5 MR. WILSON: Treat the recording and billing
6 the same way that you do today with a Feature Group D
7 trunk. I mean why not, correct? I mean what am I
8 missing here?

9 MR. EASTON: Well, it may appear like that on
10 the face of it, but the reality is that we have rather
11 complex systems associated with Feature Group D that do
12 the billing and the record creation. We have a separate
13 system that we use to do the billing for LIS trunks, and
14 it's not just a matter of let's pick this up here and
15 move it over and plug it in. That's not the way billing
16 systems in telephone companies work. It would be nice
17 if it were.

18 MR. WILSON: Well, I guess I will -- I don't
19 have another question on that.

20 When did you quit using factors with AT&T
21 Long Distance? Because I know that we did use factors
22 for a number of years.

23 MR. EASTON: I believe it was in the early
24 2000's. Now we do still have a PLU factor we use if for
25 some reason we're lacking the information on the call

0270

1 record to determine jurisdiction. It used to be we used
2 that for billing purposes, now we are using actual
3 traffic flows, comparing the billing or the calling and
4 called number to determine the jurisdiction and apply
5 the appropriate rate.

6 MR. WILSON: So for approximately four years,
7 four or five years we used factors? Because we started
8 that in approximately '97 I would say.

9 MR. EASTON: Yes, and that now has been
10 converted. You know, again, it's Qwest's preference
11 whenever possible to bill using actual traffic flows.

12 MR. WILSON: So I guess I wouldn't understand
13 why then would it take \$1 Million to \$2 Million to use
14 that system that we have already used?

15 MR. EASTON: Well, again, we would have to
16 build in all the appropriate logic. You know, I don't
17 know that that system still exists out there. The
18 billing systems have gone through a number of changes in
19 the intervening five years.

20 MR. WILSON: Okay.

21 Then a question on --

22 MR. EASTON: And just let me also answer, you
23 talked about that logic that was agreed to, I believe
24 what you're referring to is what we do allow for all
25 carriers is to combine all traffic over Feature Group D.

0271

1 We have never built the logic, we never had all that
2 logic built into LIS with factors.

3 MR. WILSON: Well, I guess I can't understand
4 why the logic would be any different.

5 MR. EASTON: While the logic itself may not
6 be different, the billing systems themselves are very
7 different. And taking that logic and building it into a
8 billing system takes a fair amount of work.

9 MR. WILSON: I guess I don't understand that.
10 I mean they're simple ratios, why would it be different
11 from taking one trunk to another? I guess I don't
12 understand that.

13 MR. EASTON: Well, we probably ought to have
14 you sit down with our IT folks, because it is a fairly
15 complex process. You're dealing with rather large
16 systems, and it's not as easy as just doing a basic
17 program on your computer.

18 MR. WILSON: If you built the logic into a
19 LIS trunk and made it a Feature Group D trunk, if the
20 price different, is that -- if you built the logic into
21 a -- I mean if you changed the logic for a LIS trunk, if
22 you went through all the cost of the back systems to do
23 it correctly, you built the costs back in, and now
24 you're back to what you already had, which is a Feature
25 Group D trunk, which, you know, before we couldn't

0272

1 figure out why there was an added cost, now there's cost
2 systems in the back room for billing.

3 MR. EASTON: You're right, in essence you
4 have ended up recreating the Feature Group D trunk.

5 MR. WILSON: On the records issue you said
6 that the -- it seemed to me that you said effectively
7 that the routing to your QPP customers is secret from
8 another carrier?

9 MR. EASTON: No, my analysis would be the
10 only way that Level 3 could avoid terminating calls to
11 QPP customers over LIS would be if we gave you a list of
12 all of the QPP numbers.

13 MR. WILSON: And what's wrong with that to
14 another carrier? We trade that kind of information all
15 the time.

16 MR. EASTON: Now I would think that might be
17 proprietary information, we will let our lawyers
18 determine that.

19 MR. WILSON: Well, when these were UNE-P
20 customers, we certainly had it, because the numbers were
21 all ported, they must have been ported back, but why
22 would these numbers be different now that they're QPP
23 rather than UNE-P numbers? It wasn't secret then.

24 MR. BROTHERRSON: There was no number porting
25 on the UNE-P, because those customers appeared to have

0273

1 always stayed with Qwest when they bought those
2 unbundled network platforms. They did move to let's say
3 an Eschelon, but to the network it still had to be
4 routed to the Qwest switch, and it still appeared to be
5 a Qwest customer.

6 MR. WILSON: But the CLEC's were managing
7 their own phone numbers. I know that for a fact. We
8 were getting those ported.

9 MR. BROTHERSON: You weren't -- where did you
10 port the unbundled switching telephone number?

11 MR. WILSON: Well, the --

12 MR. BROTHERSON: It stayed on that switch.

13 MR. WILSON: Not if it was on somebody else's
14 switch.

15 MR. BROTHERSON: But we're not talking
16 about --

17 JUDGE RENDAHL: Mr. Brotherson and
18 Mr. Easton, if Mr. Wilson isn't done, I know you have a
19 response, but you can't speak over him because the court
20 reporter can't take it down.

21 Mr. Wilson.

22 MR. WILSON: Well, I guess we have a
23 disagreement there, and the question is --

24 MR. LINSE: If I may interject a little bit.
25 The whole concept of unbundled switching and wholesale

0274

1 switching is that it is a Qwest switch, so there would
2 be no -- the only purpose for a port is if you're taking
3 a number from one switch and putting it into another
4 switch. Qwest wholesale switching, we're providing
5 basically the switching functionality including the
6 number to the competitive carrier. And the reason why a
7 competitive carrier comes to Qwest for unbundled
8 switching is because they don't own a switch. So there
9 would be no porting issue associated with a unbundled or
10 wholesale switching type service.

11 JUDGE RENDAHL: Mr. Brotherson, did you have
12 something else?

13 MR. BROTHERSON: Not of a technical nature.

14 JUDGE RENDAHL: Well, then let's withhold
15 that thought then.

16 Are there any other questions for Mr. Easton?

17 MR. GREENE: I have a few here.

18 JUDGE RENDAHL: Mr. Greene.

19 MR. GREENE: I will try not to use all of the
20 time.

21 JUDGE RENDAHL: Can you make sure your mike
22 is on.

23 MR. GREENE: I'm sorry, I turned it off.

24 JUDGE RENDAHL: And speak into it.

25 MR. GREENE: In your testimony you talked

0275

1 about a factor that would be filed by Level 3 on a
2 quarterly basis. Are you now saying that that's not
3 necessary if we were to use Feature Group D trunks?

4 MR. EASTON: I believe the only reason that
5 Level 3 proposed the factor system was to get around the
6 problem we have with LIS. But no, there would not be a
7 need for the factors that Level 3 is proposing if Level
8 3 combined all of the traffic over Feature Group D.

9 MR. GREENE: All right, so just for
10 clarification when I take this back, on page 21 of your
11 testimony on line 18 through 27, we can basically
12 understand that, once you get to that section, that
13 section is not applicable, there's not any need for a
14 factor in the Qwest proposed language?

15 JUDGE RENDAHL: I'm sorry, which page are you
16 referring to?

17 MR. GREENE: I'm on the Easton testimony
18 WRE-1T, page 21, line 18.

19 MR. EASTON: I guess I'm not seeing where
20 you're at here, is this the testimony that was filed
21 August 18th?

22 MR. GREENE: It's dated August 18th at the
23 top.

24 MR. EASTON: Okay, and my --

25 MR. GREENE: Your direct.

0276

1 MR. EASTON: It's my supplemental direct, and
2 on my page 21 at line 18 is --

3 MR. GREENE: Let me just read you the top of
4 this, it says Replacement Exhibit WRE-1T, I don't know
5 if that makes a difference.

6 MR. EASTON: Oh, okay.

7 JUDGE RENDAHL: Sometimes the pages differ
8 depending on whether you print them off the Internet or
9 you print them off --

10 MR. EASTON: We would still require the PLU
11 factor. As I mentioned, when we are not able to
12 determine the jurisdiction because there is not
13 sufficient information in the call record, we need to
14 have a PLU that we can use to jurisdictionalize those
15 calls.

16 MR. GREENE: If we were to convert the trunks
17 to Feature Group D, and outside of the conversion costs,
18 which I'm assuming would be a one time event, but we
19 only used the trunks for local traffic just like we are
20 using them today, would our costs be the same as it is
21 today?

22 MR. EASTON: Your traffic sensitive
23 remitative use costs should remain the same. I believe
24 the way at least our FCC tariff is set up though, it
25 would not allow ratcheting of the facilities cost

0277

1 itself. In other words, you wouldn't take the
2 facilities cost and apportion so much of this is TELRIC,
3 so much of this is at the tariffed rate.

4 MR. GREENE: So what rate would apply for the
5 35,000 trunks that I have today?

6 MR. EASTON: It would be the Feature Group D
7 facility rate.

8 MR. GREENE: And is that an interstate rate,
9 an intrastate rate, can you describe --

10 MR. EASTON: Well, I was just talking about
11 the FCC tariff, I'm not specifically familiar with the
12 intrastate tariff, and I would have to see whether that
13 allows ratcheting, but it would be the interstate tariff
14 FCC one.

15 MR. GREENE: Okay, so I would go from local
16 trunks that exchange local traffic, 35,000 of them, to
17 interstate Feature Group D transport costs for all
18 35,000 trunks?

19 MR. EASTON: For the facilities cost, that's
20 correct, just as, you know, AT&T does today when they
21 combine all traffic, both local and switched access over
22 Feature Group D.

23 MR. GREENE: Okay, so it's not just a records
24 thing, you would also look to collect that additional
25 moneys for the transport as well?

0278

1 MR. EASTON: Well, if you're purchasing
2 Feature Group D out of the FCC tariff, you would be
3 paying the rates that are applicable to that FCC tariff.

4 MR. GREENE: As you understand the OBF
5 guidelines around, and that's the ordering and billing
6 forum from earlier, guidelines around the exchange of
7 records, is that exchange one way?

8 MR. EASTON: No, I believe, and Mr. Linse may
9 be better able to answer that, I believe that applies
10 for carriers exchanging records either way.

11 MR. GREENE: So if Level 3 generated all the
12 110101 records that were necessary for these calls
13 because our systems are capable, we could just simply
14 exchange them to you because it's two way, and you don't
15 need to spend any upgrade costs; would that be a fair
16 statement?

17 MR. EASTON: We would have to discuss how
18 that was done, and I would need to go back and talk to
19 some folks and see how something like that could be
20 implemented.

21 MR. GREENE: But if the exchange of records
22 is two ways, you would still need to go implement
23 something, you didn't conform your systems to the
24 standard of two-way exchange, you only conformed them to
25 one-way exchange?

0279

1 JUDGE RENDAHL: Mr. Brotherson.

2 MR. BROTHERSON: I believe we have end
3 offices that home for example on independent company
4 tandems, and they provide us access records just as we
5 provide independent telephone companies access records.
6 Are you talking about creating an access record and
7 providing us a traditional jointly provided switched
8 access record?

9 MR. GREENE: Correct, and very specifically
10 an 110101 record, which I understand is the EMI
11 electronic message interface standard for the exchange
12 of access record traffic.

13 MR. BROTHERSON: I think we moved into the
14 realm of negotiations now, Mack, instead of language.

15 MR. GREENE: No, I'm just trying to
16 understand the capability.

17 MR. LINSE: If I may add, it makes a
18 difference I think if we look at what traffic we are
19 talking about. Traffic that, as Larry explained, that
20 where Qwest's switch subtends their tandem, they provide
21 Qwest with a record based on the traffic terminating to
22 Qwest's network. Traffic that enters Qwest's network
23 terminating to another carrier, we would have that
24 responsibility to provide that, to make the recordings,
25 and our systems I believe are set up specifically for

0280

1 capturing that and then passing those records along, not
2 necessarily someone else, some other carrier providing
3 that function, that tandem recording function, on
4 Qwest's behalf. There may be some problems there. I
5 can't, until we go in and look at exactly all the
6 different scenarios on how records get changed, I can't
7 really say exactly what the impact to our network would
8 be on that.

9 JUDGE RENDAHL: Okay, well, I'm not sure what
10 negotiation sessions you have set up, but it sounds like
11 there are a few issues that have come up today that are
12 ripe for discussion, this being one of them.

13 Are there any other technical questions based
14 on Mr. Easton's discussion?

15 MR. GREENE: I couldn't get it out in five
16 minutes, so I will defer it.

17 MR. EASTON: If he can't get it out, I can't
18 answer it in five minutes either.

19 JUDGE RENDAHL: Okay, is there anything else
20 of a technical nature we need to talk about today?

21 I have a quick procedural item for the
22 counsel. We talked about and added a couple of new
23 exhibits to the list. I put this -- I'm holding up an
24 exhibit list that I have drafted, and I'm going to
25 circulate it to all of you so that you see what I'm

0281

1 working off of, but there are a number of exhibits that
2 either were discussed today or handed out today or
3 revised today that I think it might be useful to have
4 you all resubmit. And I'm just talking about an
5 original and two copies. And because we're dealing with
6 color copies and not black and white on many of these,
7 if you can submit the Power Point slides with the
8 identifier in the upper right-hand corner of the KLV-3
9 with the docket number and that type of thing. The two
10 documents we printed off here on the white board we
11 won't need to do that. You all have copies of that, and
12 I have the original that came off. If you can resubmit
13 MDG-2 as no longer confidential, because I have it as
14 confidential, if you can resubmit it non-confidential,
15 and I understand you will be submitting a correction of
16 MDG-3. Mr. Cecil, if you can look at the MG-5 series
17 and determine which of those is confidential and which
18 of those is not. We would prefer that the entire
19 document not be identified as confidential if just a
20 portion of it is. And then if you can submit the MG-7
21 and MG-8, MD-8 was the ATIS document, but if you can
22 resubmit it with the MG-8 on it with the docket number,
23 et cetera, that would be helpful. And likewise for
24 Qwest, if you can resubmit the LBB-2, 4, and 5, the
25 version that you submitted today with the correct

0282

1 numbering on it, that would be helpful, and also LBB-6
2 through 8 with the identifier on the right-hand corner,
3 then I think we will have it in records center.

4 MR. SMITH: Do we need to formally file those
5 with the --

6 JUDGE RENDAHL: Formally file those with the
7 records center. They hold the original, and then that
8 becomes the original record.

9 MR. SMITH: All right.

10 JUDGE RENDAHL: So if you all can do that,
11 that would be helpful.

12 I have also had a request for the joint
13 issues list, and I'm not sure who -- did Level 3 submit
14 that?

15 MR. CECIL: We submitted it, we had exchanged
16 it, or did we exchange the one in Washington?

17 JUDGE RENDAHL: Let's be off the record for a
18 moment.

19 (Discussion off the record.)

20 JUDGE RENDAHL: I will E-mail counsel as to
21 which version of the joint disputed issues list we need
22 in Word format now.

23 On October 19th when you file documents in
24 preparation for the hearing, I would like an updated
25 contract language with the disputed language underlined,

0283

1 highlighted, however you distinguish it in the contract.

2 MR. SMITH: So a new contract?

3 JUDGE RENDAHL: The version that you are
4 working on.

5 MR. SMITH: All right.

6 JUDGE RENDAHL: So the latest contract
7 version so when we are in hearing we are talking about
8 what is current.

9 MR. SMITH: Right.

10 JUDGE RENDAHL: And I would also like the
11 joint disputed issues list with the contracting language
12 and the positions of the parties. And if you can file
13 those both in PDF and Word format, that will make it
14 easier for us to work with.

15 MR. SMITH: We can work together to make that
16 happen.

17 JUDGE RENDAHL: We appreciate it.

18 All right, is there anything else we need to
19 talk about today?

20 Thank you very much, this has been helpful,
21 and we're just done at 5:00, so we will be off the
22 record, thank you very much.

23 (Technical conference adjourned at 5:00 p.m.)

24

25