

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ROC OSS 271 VENDOR TECHNICAL CONFERENCE #3

Hotel Teatro

1100 Fourteenth Street

Denver Colorado

Wednesday, May 15, 2002

8:30 a.m.

1 APPEARANCES :

2 AT&T

3 JOHN FINNEGAN

4 MARY TRIBBY

5 TIM CONNOLLY

6 HPC

7 CHERIE MONTEFERRANTE

8 DON PETRY

9 ERIC BIGGERSTAFF

10 FRANKIE BUENO

11 GEOFF MAY

12 JEANMARIE STURM

13 JEFF CROCKETT

14 KYLE KIRVES

15 LEE TRUDEAU

16 LIZ GRAGERT

17 MARY CEGELSKI

18 TERRI JOHNSON

19 TRICIA PARKER

20 KPMG

21 MIKE WEEKS

22 JOE DELLA TORRE

23 BEN HEMPHILL

24 CARRIE THIELEMANN

25 JOE GORALSKI

JOHN DEAHL

LIZ FUCCILLO

NOLAN DINSMORE

RUSS GUZDAR

ALAN SALZBERG

YLONDA CHESTNEY

TERRY TRUDGIAN

ANN LAWRENCE

BOB FALCONE

BRIAN RUTTER

CHRIS BLACK

FELICIA KENDRICK

FRED ARMSTRONG

GEORGE CORYELL

JASON CUMBERLAND

JULIANA BARTRA

MARCOS DaCRUZ

MICHAEL BUJAN

MICHELLE TULIEN

RICH WOODHOUSE

RYAN SHURTER

SAM YEUNG

1 APPEARANCES (CONTINUED):

2 KPMG cont'd
3 STEVE CORECO
4 TOBY SCHWARTZ
5 VAN HOWARD

6 MTG
7 DENISE ANDERSON
8 BOB CENTER
9 MARIE BAKUNAS

10 QWEST
11 ANDY CRAIN
12 BARB BROHL
13 BARRY ORREL
14 BRAD HOFFNER
15 CECELIA ORTEGA
16 CHARLIS MILLER
17 CHRIS VIVEROS
18 DAN POOLE
19 DEBBIE PATTERSON
20 FRED AESQUIVEL
21 GARY WOODSIDE
22 JACKIE DONALDSON
23 JENNIFER CALDWELL
24 KRISTIN PROVOST
25 LUCY HIGLEY
26 LYNN NOTARIANNI
27 MIKE WILLIAMS
28 NANCY LUBAMERSKY
29 NITA TAYLOR
30 PAT HALBACH
31 RON TRULLINGER
32 SCOTT SIMANSON

33 WORLDCOM
34 BECKY OLIVER
35 TOM DIXON

36 NEW MEXICO
37 MIKE RIPPENGER

38 OREGON
39 IRV EMMONS

40 WASHINGTON
41 DAVE GRIFFITH
42 TOM SPINKS

1 APPEARANCES (CONTINUED):

2 NEBRASKA

BUSTER GRIFFING

3 DICK PALAZZOLO

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 PROCEEDINGS

2 * * * * *

3 MS. ANDERSON: I don't think we have
4 any announcements or any changes. Right, Joe,
5 we are just going to dive in?

6 I did do a little research on the
7 issue of the rerun of the retest. And so I
8 will give with Bob Falcone a little later and
9 John and we can share that information.

10 MR. DELLA TORRE: Good morning,
11 everyone. I wanted to start by making a
12 correction that I believe we may have stated
13 yesterday.

14 It's the notion of the standalone
15 LNP versus standalone directory listing versus
16 both at the same time. We did not do an
17 assessment of directory listings for standalone
18 LNPs by design, because we didn't think there
19 were going to be very many cases where, when
20 you are reporting the number, you are also
21 going to be doing the L change, changing the TN
22 with the number was why we didn't set that
23 scenario up to begin with.

24 I wanted to make sure we were clear,
25 we did standalone directory listings and LNP.

1 We did not do them as one activity when we were
2 assessing the directory on standalone LNP
3 orders. Just a correction from yesterday.

4 So let's jump right in to Test 12.
5 The AT&T questions.

6 Actually, let's start with
7 Washington -- the Washington questions first.

8 MR. WEEKS: On Test 12, as we
9 published the report, the draft final report,
10 there is one evaluation criteria in the not
11 complete category. That is evaluation
12 criterion 12-11-4 that says Qwest produced
13 measures of preorder order performance results
14 for HPC transactions are consistent with KPMG
15 Consulting produced HPC results. That is kind
16 of the whole essence of 31-20, exception 31-20,
17 which is also the only open exception that was
18 sitting out there for Test 12 which also
19 applies to Test 14.

20 But that is -- in not complete
21 status its status will change as is appropriate
22 to sat or not sat depending on the outcome of
23 the retest that is under way.

24 There are also five unable to
25 determines currently sitting in that report.

1 We expect that the status will remain all
2 unable to determines. Those are 12-8-2 which
3 says Qwest representatives provide timely FOCs
4 in response to local interconnect service
5 trunks ASRs. There were not enough commercial
6 observations during the course of the test for
7 us to form an opinion. So that will remain
8 unable.

9 12--9-1 Qwest provide jeopardy
10 notice in advance of the due date for resale
11 products and services. Again, this is a case
12 where there just was not sufficient data to
13 developed during the course of the test for us
14 to offer an opinion on.

15 12-9-2, Qwest provides jeopardy
16 notices in advance of due date for UNE-P. So
17 this is the same issue.

18 12-9-4. Qwest systems and reps
19 provide timely jeopardy notice for resale
20 products and services. Same answer.

21 And 12-9-5, Qwest sales reps provide
22 timely jeops for UNE-P.

23 So, we couldn't force these sorts of
24 things to happen in the normal course of the
25 test, so there weren't enough observations to

1 form an opinion on that.

2 So that is kind of the state of the
3 test activities in Test 12 in terms of the
4 status of the various evaluation criteria, and
5 what is likely to change between now and then.

6 Then finally on the issue of
7 state-specific results, I think the report is
8 clear when it calls out things that happen sort
9 of at the other-than-Qwest-total level. But I
10 don't believe there is anything in there that
11 is just purely Washington-specific data.

12 Okay.

13 MR. DELLA TORRE: I do want to give
14 it an update. On the 12-9-4 and 12-9-5, those
15 two criteria Mike just mentioned, unable to

16 determine, one on jeeps for resale, one on
17 jeeps for UNE-P. We do have an observation
18 out, 3108, I believe, that may be fodder for
19 discussion later today, where we did have a few
20 jeeps for each of those, 9 in one case, 11 in
21 the other. When we disaggregated those
22 regionally and then did the dual test, it
23 turned out that there was a no decision, that
24 then by agreement we need to bring that to the
25 TAG.

1 For those two particular criteria,
2 the issue is still somewhat in play. So I just
3 wanted to be clear for those two. And I am
4 sure we will get to those later on today.

5 Okay, so let's move into the AT&T
6 questions.

7 Question 1: Please list the
8 documents that were circulated to the TAG that
9 explain the volume and mix of transactions for
10 Test 12.

11 The documentation we used and that
12 was circulated to the TAG was the MTP. But
13 more specifically, appendices B and K.

14 Question 2. Explain what is meant
15 by the box that states, "if integrated, proceed
16 to order."

17 And this is to clarify, we have two
18 different types of pre-order activities. One
19 we call a stand-alone pre-order where we just
20 submit the pre-order somewhat in a vacuum where
21 we are checking the functionality of that
22 particular pre-order.

23 The other type is an integrated
24 pre-order, where that pre-order and result of
25 that pre-order are then used with the

1 subsequent LSR and ordering activity. So that
2 is what that means for integrated. It's an
3 integrated pre-order that the information is
4 then used on the subsequent LSR.

5 Question 3 --

6 MR. CONNOLLY: Tim Connolly. Excuse
7 me, Joe. In the pseudoCLECs operate for EDI
8 transactions, did this integration of pre-order
9 to order worked, maybe it's a question for HP.
10 Was that part of your scheme, your system?

11 MR. MAY: Jeff May. HP. Yes, it
12 was. Pre-order to order integration was within
13 HPC's scope and its covered in Appendices B and
14 C of our final report submission.

15 MR. CONNOLLY: Can you identify
16 which pre-order query types you integrated with
17 orders?

18 MR. MAY: Those are identified in
19 that report. We are not prepared, here, to
20 summarize the report. We are happy, you know,
21 if you want to look at the reports and then
22 come back --

23 MR. CONNOLLY: We will ask you some
24 questions when we get there.

25 MR. MAY: Okay. Sorry.

1 MR. DELLA TORRE: Question 3 from
2 AT&T: KPMG states Qwest processed and returned
3 valid pre-order responses, Firm Order
4 Confirmations, error messages, SOCs and
5 completion notices.

6 AT&T believes that the valid
7 responses were eventually returned, but in the
8 course of Test 12, Observations and Exceptions
9 indicate there were many cases where responses,
10 confirmations, errors and completions and
11 completion notices were such that they were
12 invalid.

13 Is KPMG's statement overly broad in
14 this regard?

15 KPMG consultant agrees with AT&T's
16 assertion and we will amend the report to more
17 accurately reflect the life cycle of response
18 received over the course of the test.

19 Question 4: KPMG indicates that
20 "future dated" orders were entered. It is
21 AT&T's understanding that Qwest's systems
22 cannot accept orders that are dated in the
23 future.

24 What is meant by future dated
25 orders?

1 And in this case our use of the term
2 future dated is meant to indicate the desired
3 due date is set out into the future.

4 MR. CONNOLLY: Tim Connelly, AT&T.
5 Aren't all desired due dates in the future?

6 MR. DELLA TORRE: Absolutely. In
7 certain cases, particularly say for our EEL
8 orders with LNP, because the facilities really
9 weren't there, we didn't have a CLEC volunteer
10 to participate with us, what we did, we
11 extended the due date much, much further out
12 than would be expected for a standard interval
13 so we could test the functionality of the
14 interface to handle that type of an order. But
15 prevent the provisioning from happening.

16 MR. CONNOLLY: Thanks.

17 MR. DELLA TORRE: Question 5:
18 Please confirm that KPMG conducted no
19 observations of CLECs entering or processing
20 EDI transactions.

21 That is correct. We did conduct
22 interviews and observations with several CLECs,
23 but did not have an opportunity to see them
24 actually submit orders through EDI.

25 Question 6: Please explain whether

1 KPMG planned to submit LSRs for accounts that
2 had pending order activity or whether KPMG
3 found that its submittal of LSRs was impaired
4 by the existence of pending order activity.

5 The answer is yes, we did coordinate
6 with a commercial CLEC to create the situation
7 of a pending order conflict. We did find a
8 problem with that initially. We issued
9 exception 31-01. However after retesting we
10 found that Qwest was processing those orders
11 appropriately.

12 MR. CONNOLLY: So -- Tim Connolly,
13 again. Joe, is it the case that there were no
14 planned orders, sequences for the pseudo-CLEC
15 that would generate order on top of order to
16 create pending order conflict?

17 MR. DELLA TORRE: We did it jointly
18 with pseudo-CLEC and commercial CLEC creating
19 the pending situation versus pseudo-CLEC on
20 both sides.

21 MR. CONNOLLY: Thank you.

22 MR. DELLA TORRE: Question 7: In
23 footnote 15, KPMG indicates that it was
24 "stipulated in the MTP" that sample size for
25 UDIT orders was so small as to prevent

1 evaluation of UDIT ordering and provisioning
2 timeliness.

3 The phrase "as stipulated in the
4 MTP," will be removed from the final report.

5 For clarification, UDITs were not
6 one of the Appendix K products that needed a
7 statistically significant sample size and was
8 tested for functionality only.

9 MR. CONNOLLY: Is this the usual
10 stipulation that we discussed yesterday, there
11 was a section where things were stipulated and
12 what it really meant is they were documented?

13 MR. DELLA TORRE: Correct. It was
14 laid out in the MTP which was agreed to by
15 data.

16 Question 8: KPMG indicates that
17 27,485 orders were submitted to the POP
18 evaluation. What is the volume of pre-order
19 transactions submitted?

20 With two subquestions as standalone
21 pre-order transactions? And in conjunction
22 with order transactions?

23 We wanted to clarify here that these
24 27,000 orders mentioned in Section 2.4.1 were
25 actually used as part of the systems

1 availability test only. These were the ping
2 orders, if you will, where we had an automated
3 system set up to submit transactions, what was
4 it, five minute intervals, ten minute
5 intervals -- two minute intervals, to establish
6 systems availability. So that is to be
7 distinguished from the actual functionality and
8 timeliness tests and the transactions we
9 submitted in those cases.

10 All right.

11 MR. CONNOLLY: So there were no
12 pre-order transactions for system availability.
13 There were just the order pings?

14 Did you issue pre-order transactions
15 for the system availability pinging?

16 MR. MAY: That is all.

17 MR. CONNOLLY: None of them were
18 orders?

19 MR. MAY: Correct.

20 MR. DELLA TORRE: We will have to
21 verify what the type of transaction was that
22 was causing the pinging. We may have labeled
23 them as orders, they may have been pre-orders .
24 The reason for the oversight was this was a
25 systems availability ping, if you will, not for

1 the functionality of the pre-order or order
2 itself.

3 Question 9: Please explain the
4 apparent discrepancies between the number of
5 orders submitted and the number of orders
6 cited.

7 That is the same answer as 8.

8 Question 10: KPMG's statement is
9 unclear: Every transaction for which a
10 functional acknowledgment was not received was
11 counted against the availability percentage.

12 What is the availability percentage
13 calculation that is involved with not receiving
14 FA transactions?

15 An interpretation of the question.
16 I think what we're -- the way we interpreted
17 this is in the same spirit as 8 and 9, in that
18 we were doing the calculation for PIC G 82,
19 which is EDI system availability. In fact it
20 had little to do with the functionality or
21 timeliness evaluation in Test 12.

22 Maybe you could throw the
23 question --

24 MR. WEEKS: Are you asking what are
25 the numerator and denominator of the

1 calculations?

2 MR. CONNOLLY: I was first trying to
3 rationalize system availability in terms of
4 these order transactions with some calculation
5 that demonstrates the system wasn't available,
6 where you, if you didn't get an FA --

7 MR. WEEKS: If you didn't get an
8 FA --

9 MR. CONNOLLY: The system was not
10 available?

11 MR. WEEKS: Yes, in effect the
12 calculation would have been such that the
13 numerator is the FA's return and the
14 denominator would be the number of pre-orders
15 sent. So missing FAs, as this is trying to
16 indicate, would count against you in terms of
17 systems available as a percentage when it's
18 expressed as a percent of the time available.

19 MR. CONNOLLY: Did these
20 calculations then get translated into a GA2
21 like metric for your purposes?

22 MR. WEEKS: I think what we were
23 attempting to do, maybe -- hold on a second.

24 (Pause.)

25 MR. SALZBERG: HP gave us the

1 results of each transaction they sent. They
2 gave us the sent with an ID. Then the received
3 with an ID. All we did was match them up and I
4 think this analysis was for January and
5 February.

6 MR. CONNOLLY: And that allowed you
7 to calculate a GA2.

8 MR. SALZBERG: That's what we used
9 to calculate the GA2, that's right.

10 MR. CONNOLLY: For each of those
11 models?

12 MR. SALZBERG: Right.

13 MR. CONNOLLY: Thank you.

14 MR. DELLA TORRE: Question 11: What
15 data was used by many KPMG to evaluate the
16 functional of the IMA GUI.

17 What data was supplied by Qwest or
18 the P-CLEC or acquired by other means?

19 We developed the scenarios and we
20 reviewed Qwest's order processing for
21 transactions submitted by the P-CLEC.

22 Test 12 GUI functionality analysis
23 is based on P-CLEC data only.

24 MR. CONNOLLY: The range of
25 functionality is as documented in --

1 MR. DELLA TORRE: That's correct.

2 MR. CONNOLLY: -- in the MTP>

3 MR. DELLA TORRE: And the final
4 report.

5 MR. CONNOLLY: And the final report.
6 What advised you of the functionality within
7 the IMA GUI?

8 MR. WEEKS: I think you are asking
9 the question how did we gain an awareness of
10 what functionality was in the GUI?

11 MR. CONNOLLY: Correct.

12 MR. WEEKS: It was by look at
13 publicly available documentation provided by
14 Qwest.

15 MR. DELLA TORRE: Question 12: What
16 data was used by KPMG to evaluate the accuracy
17 of the IMA GUI?

18 What data was supplied by Qwest or
19 P-CLEC or acquired by other means?

20 The same answer, used HPC data,
21 initially established our expectations based on
22 Qwest documentation.

23 Question 13: KPMG states results in
24 section 3 were calculated based on HPC's
25 internal time stamps which may differ from the

1 measurement points reported by Qwest. This
2 difference is due to the fact that KPMG
3 Consulting measures HPC's end-to-end response
4 time, while Qwest measures processing time
5 within its environment. Presumably HPC's
6 measurements showed longer intervals than did
7 the Qwest reported interval.

8 Please quantify the amount of time
9 that is shown in the HPC intervals that is not
10 reflected in the Qwest measurements.

11 We did not do the analysis of
12 comparing HPC interval that is not reflected in
13 the Qwest measurements, because the only place
14 this would really be material are for those
15 transaction types that are measured in seconds
16 and, therefore, around PID P01 and PID P03. In
17 the case of PID P01, we can't quantify the
18 difference because Qwest does not report its
19 results on this PID on a CLEC specific level.
20 So we would not have been able to do that
21 comparison just for P-CLEC.

22 For PID P03 KPMG actually issued
23 exception 3105, because according to our
24 measures (inaudible) response time, Qwest was
25 in fact failing the timeliness measure.

1 Qwest responded that based on its
2 internal processing time the EDI order rejects
3 were passing time limits and a certain amount
4 of HPC processing time should be taken into
5 account by KPMG Consulting in calculating the
6 results.

7 As agreed in the January 7, 2002 ROC
8 TAG and project management meeting, Qwest and
9 TAG agreed adding a certain amount of
10 processing time to the 18 second benchmark was
11 a reasonable approach to the PID calculation.

12 Question 14: KPMG reports 14
13 pre-order query types, yet in Table 12-1 it
14 establishes that Test 12 involved only 12
15 pre-order types.

16 Please identify the pre-order types
17 that were not tested in Test 12 and explain why
18 the additional pre-order query types were not
19 tested.

20 In fact, all 14 types were tested.
21 However, in the table, there are two groups of
22 two. The pre-order TNAQ and TNSQ are related
23 in that one is an availability and one is a
24 selection.

25 The same is true for AAQ and ASQ.

1 Appointment availability and appointment
2 selection.

3 So we grouped those in listing them.
4 However, we did submit and test all 14.

5 Question 15: Please describe the
6 process improvement that KPMG verified that
7 will ensure the PREMIS database is properly
8 maintained with TNs assigned to CLECs.

9 I believe this was the result of HP
10 exception 2055 and KPMG Consulting did not do
11 any retest verification for that exception.

12 If HPC would like to comment on any
13 of its retest activities --

14 MR. MAY: This is Geoff May with HP.

15 Due to the nature of the P-CLEC work
16 which is essentially black box, we would have
17 no insight into what is essentially a white box
18 oriented verification.

19 So while we raised the issue in an
20 exception, verification along these lines would
21 be a white box analysis for which we have no
22 visibility into.

23 MR. DELLA TORRE: Question 16:
24 Please quantify the number of EDI pre-order
25 transactions that were returned in excess of

1 199 seconds. Of these, indicate the percentage
2 that was returned with accurate response data.

3 There were ten pre-orders returned
4 in excess of 199 seconds, two of which had the
5 expected response, eight of which had the
6 unexpected response or 20 percent and
7 80 percent.

8 MR. CONNOLLY: Did you analyze the
9 incorrect responses to determine what it was in
10 the response that was inaccurate?

11 MR. DELLA TORRE: No, we did not.

12 MR. CONNOLLY: But the two that were
13 accurate, you evaluated them enough to know
14 they were accurate?

15 MR. WEEKS: We had to evaluate it
16 enough to figure out it wasn't what we
17 expected, but I don't think we took your
18 question to mean did we investigate beyond
19 discovering that it wasn't what we expected.

20 MR. DELLA TORRE: Typically we won't
21 do regression testing if the performance is
22 above whatever standard or benchmark we are
23 looking for. We won't explore the other
24 two percent, if you will.

25 MR. CONNOLLY: Of the eight, a quick

1 question, was the inaccuracy that the data was
2 incomplete?

3 (Pause.)

4 MR. DELLA TORRE: We did not
5 determine why we received an unexpected
6 response.

7 And just to be clear, it's an
8 unexpected response, not necessarily an
9 inaccurate response.

10 MR. CONNOLLY: Would you agree the
11 54, there is a balance of 54, if you go through
12 the numbers in this test cross-reference
13 12-2-3.

14 Those 54 are in -- just vaporized I
15 guess, cyberspace? 17-4-86.

16 MR. WEEKS: Trying to get to the
17 page.

18 MR. WEEKS: 12-2-3, pre-order
19 time-outs before receiving response?

20 MR. DELLA TORRE: Correct. There
21 were 64 that we received no response.

22 64 out of the 74. There were 74
23 that timed out. 64 of them were no response,
24 and 10 of them were unexpected responses.

25 MR. CONNOLLY: Great.

1 MR. DELLA TORRE: Question 17:
2 KPMG's report states: Of 490 LSRs submitted
3 for which an order response was expected, 490,
4 one hundred percent, received the expected
5 response.

6 What is the quantity of LSRs that
7 were issued for which no response was expected?

8 The answer is zero. We expected a
9 response in all cases of one type or another.

10 We do have the situation where a
11 test case scenario called for a supplement to
12 be submitted prior to receiving a FOC or an
13 error. But even for those LSRs we would still
14 expect the FA to come back. And we were
15 expecting a FOC or an error, but just sent the
16 supplement in in a very short window of time.
17 So there were zero LSRs that no response was
18 expected.

19 MR. CONNOLLY: An LSR that is
20 canceled would be canceled by the supplement.

21 MR. DELLA TORRE: Correct.

22 MR. CONNOLLY: In which case there
23 wouldn't be any firm order confirmation, just
24 the FA.

25 MR. WEEKS: Right. What we may be

1 struggling with here is what an expected
2 response is. As indicated we always expect at
3 least an FA.

4 MR. DELLA TORRE: No, but even on a
5 cancel, you still get a canceled FOC.

6 So it's a canceled completion. I am
7 not sure of the acronym, but there is a
8 response to a cancel.

9 It is a FOC. I have just been told
10 it's a FOC that confirms the cancel.

11 MR. VIVEROS: It's actually not a
12 FOC. It looks like a FOC. It's actually a
13 canceled confirmation. The guideline, it is
14 not confirming an order. FOC by definition
15 says I got your order, I processed your order,
16 I have turned it in to an internal service
17 order and I have assigned it a due date.

18 When we get a cancel we are doing
19 just the opposite of that and we do send our
20 response back acknowledging we have gotten the
21 cancel and we've processed it but it's not a
22 FOC. It looks like a FOC, I know it looks like
23 a FOC.

24 MR. CONNOLLY: Quack quack.

25 MR. MAY: It seems to be a

1 semantical issue.

2 MR. DIXON: A pseudo-FOC.

3 MR. DELLA TORRE: Question 18: For
4 the 11 orders that were excluded due to an
5 invalid due date, please describe the
6 conditions that caused these due dates to be
7 deemed invalid. Were the invalid due dates
8 intentionally inserted as a part of the test
9 design.

10 These were deemed invalid because
11 the due date requests were less than the
12 standard interval. And the selection of the
13 less than standard interval due dates was not
14 an intentional part of the test design.

15 Question 19: Please explain the
16 discrepancy in LSR volume between the 7,525
17 noted in this test cross-reference 12-5-10 and
18 those reported in test cross-references 12-5-2
19 and 12-5-6.

20 The LSR totals found in 12-5-10 are
21 actually the sum of 12-5-2 and 12-5-3. 2 and 3
22 are EDI and GUI, whereas 10 is the total.

23 12-5-6, on the other hand, reflects
24 the number of EDI LSRs only and, therefore,
25 can't be compared to 12-5-10.

1 As a point of fact these numbers
2 were updated in version 1.1 of the draft final
3 report.

4 Question 20: Please explain the
5 discrepancy rejected LSR volume between the 411
6 identified in the test cross-reference and the
7 3,419 reported in test cross-reference 12-5-6.

8 This is a very similar answer to the
9 previous answer except these are the GUI
10 portion of the total.

11 Question 21: Please confirm that
12 KPMG has insufficient data to report LNP orders
13 issued through the IMA GUI.

14 The LNP orders needed to be issued
15 by HPC using live CLEC CCNA codes. This can
16 only be done via the EDI system and, therefore,
17 KPMG has no dated to evaluate Qwest performance
18 on LNP orders issued via the GUI.

19 I would like to make a correction
20 that the commercial P-CLEC was not a
21 participant.

22 Question 22: KPMG reports the Qwest
23 calculated that the rejections took an average
24 of 2.36 seconds to move through HPC's systems.
25 What methods were employed by KPMG to perform a

1 calculation that verified the Qwest calculation
2 of 2.36 as being accurate?

3 We did not validate the accuracy of
4 Qwest's calculation except that we did examine
5 the time stamp differences that we both used
6 the same sets of data to come up with the 2.36.

7 We did not validate the underlying
8 accuracy of that data.

9 This is also similar or the same in
10 spirit as the question that we discussed
11 earlier when there was an agreement reached
12 with the TAG for incorporating the overhead
13 considering different points of capturing time
14 stamp data.

15 Okay.

16 MR. CONNOLLY: Best of your
17 recollection it was the same meeting,
18 January 7th.

19 MR. DELLA TORRE: I think it's the
20 same issue actually. January 7th.

21 Question 23: KPMG reports of 5,274
22 instances submitted for which a work completion
23 notification was expected, 5,243, 99.41
24 percent, received the expected response.

25 Under what circumstances would an

1 LSR not be considered an instance?

2 That is just our own language, all
3 LSRs would be considered an instance.

4 MR. WEEKS: Actually there is an
5 instance of a test case. And within the
6 confines of the instance of the test case there
7 would be an LSR. So they are two different
8 things so to speak. As we have talked about
9 scenarios would have oftentimes more than one
10 activity associated with them, like run a
11 pre-order query, submit an LSR, submit maybe
12 another LSR to cancel. So there is not a
13 one-to-one correspondence necessarily between
14 an LSR and an instance. There could be a
15 one-to-many (inaudible).

16 MR. CONNOLLY: But for this test
17 cross-reference there is a one-to-one
18 relationship between instance and LSR?

19 (Pause.)

20 MR. WEEKS: We will examine whether
21 instance or LSR is the most appropriate wording
22 here, so that the words in this evaluation
23 criterion reflect whichever of those is more
24 accurate.

25 MR. CONNOLLY: Good.

1 MR. DELLA TORRE: Question 24:
2 Please identify any additional reasons that an
3 LSR would not be expected to complete besides
4 LSRs that were canceled, rejected, or
5 supplemented.

6 And in this case I refer back to the
7 answer from before where we submitted EEL
8 orders with LNP that we pushed the desired due
9 date well out into the future for facilities
10 reasons.

11 MR. CONNOLLY: Weren't those
12 eventually canceled, though?

13 MR. DELLA TORRE: Yes, those were
14 ultimately canceled.

15 Question 25: Please explain the
16 discrepancy between the number of LSRs that
17 generated work completion notices according to
18 5,245 and the quantities identified in test
19 cross-references 12-10-2 plus 12-10-3.

20 I will defer this question to
21 Mr. Bob Falcone.

22 MR. FALCONE: Bob Falcone, KPMG
23 Consulting. If I may I would like to address
24 25 and 27 together today, because they sort of
25 go hand in hand.

1 First of all, the answer to 27, the
2 discrepancy or the numbers that KPMG may have
3 omitted that we caught after-the-fact when the
4 report was out there was that, there was a lot
5 of confusion around P06 quite, frankly.

6 Our initial look at this PIC, we
7 were only counting inward activities.
8 Therefore we were excluding things we shouldn't
9 have excluded when putting that PID together.
10 And we realized that report was already out
11 there. That is why your numbers won't add up
12 in your question 25 because we have things in
13 there -- we didn't have things in there we
14 should have.

15 Just to close on this PID though,
16 you will see it in the final report, for P06A,
17 which is the GUI, we cannot self-report this
18 PID because we don't have GUI time stamps of
19 when the SOC was received, only the date. The
20 date and time stamp is a critical component to
21 calculating this PID.

22 So in the final report you will not
23 see any data for P06A because we can't
24 self-report that.

25 However, you will see data for P06B,

1 the EDI WCN timeliness. And KPMG can
2 self-report that and will in the final report.

3 A VOICE: It sounds like they are
4 talk -- in the room, can you hear me okay on
5 the house system?

6 (Discussion off the record.)

7 MS. ANDERSON: We are sorry for the
8 interruption here. The bridge is not as clear
9 as it was.

10 Qwest, do you need to have a meeting
11 outside? No?

12 Sorry about the problem with the
13 bridge. People can't hear quite as well on the
14 bridge today. Marie was asking the technician
15 to see what they could do. They told us to
16 flip a couple knobs up here which she did. We
17 apologize for the interruption. Let's resume
18 where we were, question number --

19 MR. DELLA TORRE: Yes. Actually, I
20 want to revisit question 23 briefly. We
21 confirmed that for that specific reference
22 instances are in fact synonymous with LSRs. So
23 we will revise the report to read LSRs.

24 Did you have a question on where we
25 were?

1 MR. CONNOLLY: Yes. I believe that,
2 Bob, I believe you said that in doing the
3 calculations for PO6A, the GUI calculation,
4 that you didn't have the time of the work
5 completion notice arrival.

6 MR. FALCONE: We don't have the time
7 stamp on and let's get the semantics right. We
8 were calling work commission orders SOCs. When
9 we receive a SOC for the GUI orders all we
10 receive is the date the SOC was received.

11 However for the calculation of this
12 PID, you read the formula on this PID, you need
13 the date and time, a critical component for
14 calculating the PID. We don't have a GUI time
15 stamp of the time of day the GUI SOC was
16 received. For the PID PO6A KPMG Consulting
17 will not be able to self-report on this PID
18 because we don't have the data to do the
19 calculation.

20 MR. CONNOLLY: We --

21 (Pause.)

22 MR. CONNOLLY: The difference
23 between the self-reporting is -- and Qwest's
24 published results is when KPMG has assembled
25 the data on its own and attempts to recalculate

1 its results with Qwest reported results?

2 MR. FALCONE: For the purposes of
3 this test any time we report out on PID results
4 we use KPMG data supplied by the pseudo-CLEC.

5 MR. CONNOLLY: So the time sent, the
6 time the FOC is sent, that is not provided in
7 the Qwest auto push message; is that correct?

8 MR. FALCONE: The SOC, the time that
9 the SOC is received is not captured on our --

10 MR. DELLA TORRE: The difference
11 being the notion of the time stamps that Qwest
12 captures and reports on versus the time stamps
13 that HPC and KPMG Consulting captures and
14 report on.

15 There may be a Qwest time stamp of
16 when they sent the SOC, but we didn't capture
17 when the SOC was received other than date.

18 MR. WEEKS: Qwest can't know when we
19 are going to receive it.

20 MR. DELLA TORRE: Only GUI.

21 MR. FALCONE: For EDI, to that
22 point, what we will do is we will take the date
23 and time, because we do have all that
24 information, when we receive the SOC. Then we
25 will use the formula to take the date and time

1 the last internal Qwest completion notice was
2 done to come up with the difference as to how
3 long it took them to send that completion
4 notice to us.

5 We will be able to do that
6 calculation on EDI and it will be in the final
7 report with the results.

8 There is no pass/fail criteria on
9 this, but we cannot do that for --

10 MR. CONNOLLY: Thanks.

11 MR. DELLA TORRE: The same concept
12 is true for questions 26 and 28 but only around
13 BCS.

14 Bob?

15 MR. FALCONE: Yes. For 26 it's the
16 same thing, PID P07A, GUI, and P07B, which is
17 EDI. Again, to be frank, KPMG Consulting had
18 confusion as to how they were calculated when
19 we were getting the draft report out.

20 For P07A, we don't have GUI BCN
21 information, so we cannot self-report on this
22 PID and you will not see anything in the final
23 record on there other than a note saying we
24 could not self-report it.

25 For P07B, we mistakenly thought we

1 didn't have them. Yet, after the draft report
2 was out we realized we do have the BCNs on the
3 EDI and we will calculate P07B and self-report
4 what those results were.

5 MR. CONNOLLY: Qwest has not pushed
6 the GUI BCNs?

7 MR. WEEKS: Again the issue is we
8 don't have time stamp information associated
9 with those.

10 MR. DELLA TORRE: Qwest, my
11 understanding, Qwest does in fact push BCNs
12 after the CLEC requests that functionality.

13 MR. CONNOLLY: A CLEC signs up for
14 receiving BCNs?

15 MR. DELLA TORRE: Right. That is my
16 understanding.

17 MR. CONNOLLY: And they would in
18 routine get those is my understanding.

19 MR. DELLA TORRE: Correct.

20 MR. CONNOLLY: The pseudo-CLEC did
21 not sign up for those?

22 MR. PETRY: Don Petry, HP. For GUI,
23 the way that you can get -- you have to first,
24 if you wish to receive status updates, which
25 Qwest identifies as an LSR is going through

1 significant status changes within their
2 back-end systems, that is a status update
3 option, that a CLEC has the ability to sign up
4 for both EDI and GUI.

5 GUI, the way you obtain that
6 information is to go in and pull a query on an
7 order based upon PON or LSR ID, then you see
8 the statuses for that order at that point.

9 So the P-CLEC, because we have no
10 insight into when updates are going to be being
11 triggered and being pushed to the IMA system,
12 we did not go and periodically or routinely
13 pull IMA GUI submitted orders to obtain all of
14 the statuses at that point in time.

15 But that is how you would be able to
16 go in and see where the status of that order
17 is.

18 MR. WEEKS: It's not a proactive
19 push.

20 MR. PETRY: No, it's not a push,
21 it's a query, LSR status update inquiry in
22 which you can then receive the responses back.

23 The completion notices are provided
24 on the completion reports that are produced
25 daily by Qwest.

1 MR. CONNOLLY: The service order?

2 MR. PETRY: Yes.

3 MR. CONNOLLY: But not the
4 billing --

5 MR. PETRY: Correct.

6 MR. CONNOLLY: So the inability to
7 recalculate PO7A is not because there isn't,
8 the time isn't there; is that correct, is that
9 what you just said?

10 MR. WEEKS: No, I think what we are
11 trying to say is that in order for the
12 pseudo-CLEC to have accurately determined when
13 that status of information was available, they
14 would have had to continuously pull at the
15 second level of granularity the status of those
16 individual orders. The overhead and volume
17 associated with that would have been, you know,
18 astronomical and would have probably destroyed
19 the integrity of the whole test, because you
20 would have spent so much time churning and
21 pulling that you would have chewed up the
22 machine.

23 So because of the architecture of
24 the GUI and how status information is made
25 available to CLECs, it wasn't practical, it

1 wasn't feasible for the pseudo-CLEC to collect
2 time stamps on BCN's status updates if you
3 through the GUI. We didn't do it. They didn't
4 collect it. Therefore we couldn't analyze it.
5 Therefore we can't report.

6 MR. CONNOLLY: So the underlying
7 reason for -- the discrepancy in ours, PO6A
8 versus PO7A, the reasons are substantially
9 different?

10 MR. FALCONE: If you are going by
11 the old report the numbers you see here are --
12 we were reporting based on Qwest-derived data.
13 We decided we weren't going to do that, if we
14 couldn't self report we wouldn't report at all.
15 You are really looking at apples and oranges.

16 On the total SOCs which is reference
17 12-10-1 that is the total SOCs received. For
18 PO6, you won't get any number for PO6A, we
19 didn't have the data to calculate but for B you
20 will have the number for the SOCs, the
21 timeliness of those SOCs for the EDI system.
22 And that will be in the final report.

23 MR. DELLA TORRE: To your comment
24 about the reasons, I would argue that the
25 reasons are the same, we do not have GUI data

1 for WCNs or BCNs -- P06 or 7, so the reason is
2 the same as to why we are not reporting.

3 The underlying cause as to why we
4 don't have that data is different in each case.

5 MR. CONNOLLY: That is a good point,
6 and one I agree with.

7 MR. DELLA TORRE: Question number
8 29: I believe has been answered in this
9 discussion in that we do have our own data for
10 evaluating BCI, BCNs. That will be in the
11 final report.

12 Question 30: Please describe the
13 evaluation's comparability conducted by KPMG
14 Consulting and its findings from its review of
15 retail and CLEC operations for the following.

16 Processes that provide for
17 reservation of vanity telephone numbers. There
18 are several others but I will go one at a time.

19 KPMG Consulting compared the
20 pre-order and order requirements, the required
21 customer information, standard intervals and
22 the expedite procedures in the wholesale and
23 retail environments.

24 For vanity telephone numbers
25 specifically, KPMG Consulting compared the

1 functionality available to wholesale customers
2 and compared that to functionality available to
3 retail Qwest representatives.

4 We issued observation 3007 which
5 addressed the inability of wholesale reps to
6 electronically reserve consecutive blocks of
7 TNs, which is a type of custom or vanity
8 number.

9 In response, Qwest provided CLECs
10 access to a GUI which allowed for the
11 reservation of consecutive blocks of TNs.

12 The second functionality identified
13 in AT&T's question is to discuss processes that
14 provide for reservation of large blocks of
15 telephone numbers.

16 And the comparative analysis of the
17 processes that provide for large blocks was not
18 within the scope of the testing conducted in
19 our comparability analysis.

20 The third type are error rejection
21 codes and messages to -- provided to service
22 representatives.

23 This also was not within the scope
24 of the comparability testing.

25 We did, HPC and KPMG Consulting did

1 evaluate error response accuracy and clarity as
2 part of Test 12.

3 And the final category, the types of
4 reference materials that are made available by
5 Qwest in the form of on-line job aids, ordering
6 guides, et cetera.

7 And the availability of reference
8 materials was verified as part of our pre-order
9 order process review as described in the draft
10 final report.

11 Additionally, HPC performed a review
12 of Qwest's wholesale order, transaction
13 creation documentation as part of their
14 Test 10.

15 MR. CONNOLLY: But I didn't hear you
16 say evaluation of comparability on reference
17 materials.

18 MR. DELLA TORRE: That's correct, we
19 did not do that. We reviewed the documentation
20 stand alone, as provided to wholesale
21 providers, not as comparable between what Qwest
22 retail reps use and what wholesalers use.

23 MR. CONNOLLY: The scope issue?

24 MR. DELLA TORRE: Yes, that was a
25 scope issue.

1 MR. FINNEGAN: I would like to
2 follow up on the scope issue, looking at the
3 master test plan. On page 50, table 12-4-2,
4 pre-ordering and ordering evaluation measures,
5 one says consistency with retail capability.

6 That seems a pretty broad scope that
7 could fit in a lot of things. How did KPMG
8 come to the conclusion that the error messages
9 or the capability to receive information on an
10 error was outside the scope?

11 MR. DELLA TORRE: We attempted to
12 look for where there would be a retail analog
13 to a wholesale operation or wholesale activity.

14 And in the case of interacting with
15 interface, whether GUI or EDI, there is not a
16 direct comparison to a retail activity where an
17 order writer is putting something directly into
18 SOP. And therefore the comparison of using,
19 assessing the completeness of GUI business
20 rules, EDI business rules, the documentation if
21 you will, or the error messages generated
22 through using those interfaces, we believe was
23 not part of the scope of the underlying
24 ordering of products and services that was in
25 fact part in the scope of the underlying

1 evaluation.

2 MR. WEEKS: What we're trying to say
3 is each of the particular types of error
4 messages and so on is unique to the interface
5 being used.

6 So while we wanted to make sure that
7 the functions the two did were similar, we
8 believed, in answer to your question, we
9 believed that the error messages and things
10 would be unique to that interface and didn't
11 necessarily have the same need for
12 comparability as did the basic requirements for
13 functionality.

14 MR. FINNEGAN: Let me give you an
15 example. Let's say a retail rep is entering an
16 address and put the wrong address in. It
17 bounces up against the database, comes back
18 with an error message that goes right to the
19 field on the form that is incorrect and
20 highlights it in red. Wherefore the CLEC, when
21 the CLEC enters an incorrect address there is a
22 message back that says you got something wrong
23 on this LSR.

24 MR. WEEKS: Okay, that is the
25 hypothetical. Go ahead.

1 MR. FINNEGAN: Hypothetical. That's
2 what the type of comparative, granted, this is
3 somewhat qualitative, but the criteria type for
4 this consistency with retail capability, one of
5 them was qualitative. Yes, they are different
6 interfaces, but if the capability is superior,
7 inferior, one way or another --

8 MR. WEEKS: John, to answer your
9 question I think we were looking slightly at a
10 higher level when we did our comparability of
11 functionality. It was the ability to add,
12 subtract, multiply, and divide. It wasn't that
13 the screen color was prettier or -- unless it
14 was radically different and we could figure it
15 out by the level of what we were doing we might
16 have commented on such a drastic change as
17 that.

18 But I don't think we designed the
19 test to uncover every instance of where there
20 was this really substantive, in the way that
21 you are describing, difference in the user
22 interface itself.

23 We were looking at features and
24 functions, not sort of the details of the
25 implementation of those features and functions.

1 MR. FINNEGAN: So I understand your
2 response, it would be --

3 MR. WEEKS: That is a lower level of
4 detail than we really went to in the test.

5 MR. FINNEGAN: But trying to get an
6 idea of the sensitivity --

7 MR. WEEKS: Right.

8 MR. FINNEGAN: -- we get reject
9 messages, they get reject messages. Is that
10 considered equivalence?

11 MR. WEEKS: I think that the
12 interface provides meaningful feedback in both
13 cases would have been would be of the things we
14 would have looked at.

15 To say the retail error messages are
16 more robust than the wholesale messages would
17 have required a great deal of analysis,
18 hundreds and hundreds of message formats, and
19 we just didn't go to that level of detail when
20 we did this comparability analysis.

21 MR. FINNEGAN: Okay.

22 MR. DELLA TORRE: Question 31: How
23 is it determined that a pre-order transaction
24 had timed out.

25 That would be either pre-order

1 responses that did not receive a response, or
2 those that received responses in greater than
3 two hundred seconds.

4 Question 32: Please identify the
5 retest quantities that were the basis for
6 closing exceptions 2029, 2031, 2032, 2033, 34,
7 36 and 37.

8 Okay?

9 MR. FINNEGAN: Can we not go back
10 for a second to the last one, how is it
11 determined that a pre-order transaction had
12 timed out, the last one. Did you receive valid
13 responses after two hundred seconds?

14 MR. DELLA TORRE: Yes.

15 MR. WEEKS: We talked about those a
16 little while ago. Tim was asking questions
17 about those.

18 MR. FINNEGAN: And --

19 MR. VIVEROS: I was trying to figure
20 out which question you are on.

21 MR. WEEKS: Question 31.

22 MR. FINNEGAN: There was a
23 supplemental additional set of AT&T submitted
24 questions, so we merged those together.

25 MR. WEEKS: Yes, of HPC submitted

1 questions. We merged them together.

2 MR. FINNEGAN: It was submitted May
3 7th.

4 MR. DELLA TORRE: Question 16:
5 John, is where we were talking about the ten
6 pre-orders that were both expected and
7 unexpected responses greater than 199 seconds.

8 MR. FINNEGAN: Okay.

9 MR. DELLA TORRE: So question 32 is
10 a request to identify retest quantities for a
11 series of HPC exceptions, hence we will defer
12 the answer to HPC.

13 MR. MAY: Geoff May, with HP. For
14 exception 2031, give us a minute on 2029. I
15 will come back to that one.

16 Exception 2031, zero instances out
17 of a total of 3,770 original and supplemental
18 LSRs.

19 Exception 2032, zero instances out
20 of a total of 2m211 original and supplemental
21 LSRs.

22 Exception 2033, zero instances out
23 of a total of 3,770 original and supplemental
24 LSRs.

25 Exception 2034, 11 instances out of

1 a total of 3,770 original and supplemental
2 LSRs.

3 Exception 2036, 2 instances out of a
4 total of 90 original and supplemental LSRs.

5 Exception 2037, zero instances out
6 of a total of 3,770 original and supplemental
7 LSRs.

8 If we may come back to 2029, we are
9 just trying to pull that.

10 MR. WEEKS: Do you want to come back
11 to it later?

12 MR. PETRY: Yes.

13 MR. WEEKS: Question 33: Were the
14 results for PO-4A a combination of the results
15 of PO-4A-1 and O-2.

16 The answer is yes.

17 MR. DELLA TORRE: Question 34: For
18 the PO-4A errors that were unplanned errors,
19 please identify where the unplanned error count
20 by reason code and percentage of total can be
21 found.

22 There is a citation from the MTP.

23 KPMG will defer this question to
24 HPC.

25 MR. MAY: This is very important.

1 MR. WEEKS: Yes.

2 MR. MAY: Geoff May, HP.

3 Though the raw data is available,
4 HPC was not assigned, by assigned I don't mean,
5 I just sort of mean by the scope, I guess it
6 was outside the scope, for HPC for this kind of
7 statistical analysis or calculation.

8 MR. FINNEGAN: It was in the MTP.
9 It was outside the scope for HP -- was it
10 outside the scope for KPMG?

11 MR. DELLA TORRE: We would not be
12 able to calculate unplanned errors.

13 MR. WEEKS: If HP has the
14 information and wants to provide it to us, we
15 can calculate it. We have not been given that
16 information.

17 MR. FINNEGAN: Can I go back to
18 question 35 for a moment?

19 Would it be possible --

20 MR. DELLA TORRE: 33?

21 MR. FINNEGAN: 33, I am sorry.

22 Would it be possible to get the
23 split for the 4A-1 and 4A-2 reject rates?

24 MR. DELLA TORRE: Yes, we will get
25 that for you and return to it later.

1 MR. FINNEGAN: For the record,
2 PO-4A-1 are the rejects that were rejected
3 manually and the PO-4A-2 were the rejects that
4 were rejected automatically.

5 MR. DELLA TORRE: We will provide
6 that at the conclusion of the test section.

7 Question 35: Were the results of
8 the PO-4B a combination of results for 4B-1 and
9 4B-2.

10 And the answer is yes.

11 MR. WEEKS: Same Qwest?

12 MR. FINNEGAN: Yes, thank you.

13 MR. DELLA TORRE: Question 36 is
14 similar to 34. We will defer that to HPC.

15 MR. MAY: And our response is the
16 same.

17 MR. WEEKS: As is ours.

18 MR. DELLA TORRE: Question 37:
19 Please confirm that KPMG Consulting
20 intentionally submitted 30 orders that it
21 expected to be rejected.

22 This is a correction that will be
23 made to the final report. Those were
24 unplanned, those 30 rejects were unplanned
25 rejects.

1 Question 38 --

2 (Pause.)

3 MR. DELLA TORRE: Okay. Just
4 returning briefly to question number 33 and
5 question 35. On the request for information
6 disaggregating those two PIDs, we will not be
7 able to provide that disaggregation data today,
8 but we will follow up with those numbers.

9 MR. CONNOLLY: Follow-up question on
10 37, Joe.

11 I understood you to say that the 30
12 errors were unplanned errors. How are those
13 different from unplanned rejects?

14 MR. DELLA TORRE: We use those words
15 interchangeably typically, error and reject.

16 MR. WEEKS: In theory you could make
17 an error that wouldn't result in a rejection,
18 it would maybe just fall out (inaudible), but
19 in this case because of the way the criteria
20 WAS written it means an unplanned error that
21 resulted in a much --

22 MR. DELLA TORRE: That is correct.

23 MR. WEEKS: This was a manual order
24 criterion? Okay.

25 MR. DELLA TORRE: Question 38.

1 (Inaudible).

2 MR. CONNOLLY: In 12.5-7 -- those
3 are fax orders?

4 MR. WEEKS: Yes, submitted via fax.

5 MR. DELLA TORRE: Question number
6 38: Please indicate from what population the
7 sample of 150 FOCs was taken from.

8 Please indicate how KPMG Consulting
9 arrived at the quantity of 150.

10 And the sample was taken from the
11 universe of FOCs received and the 150 was
12 selected because we have a typically minimum
13 sample size of 140 in this type of instance and
14 we just divided evenly across the product types
15 resale, UNE-P, and UNE loop, 50 each.

16 Question 39: It would appear that
17 Qwest was unable to account for 418 of the
18 orders that were submitted during the test.

19 Were these orders lost orders? How
20 did KPMG Consulting and/or HPC react to valid
21 orders that never reached a terminating state?

22 First point of interest, the 418
23 orders was actually a miscalculation. Version
24 1.1 of the report reflects 51 orders,
25 4.5 percent, calculated or unaccounted for.

1 Subsequent to the receipt of these
2 questions and additional research conducted, we
3 determined these 51 orders didn't receive a
4 functional acknowledgment. However, they did
5 receive FOCs and/or errors and, therefore,
6 should not have been counted as lost orders,
7 but simply orders that didn't receive a
8 functional evaluation and, or functional
9 acknowledgment, and, therefore, the calculation
10 for PO-10 is actually one hundred percent.

11 MR. FINNEGAN: Did KPMG investigate
12 why it would not have received a functional
13 acknowledgment but did receive either an FOC or
14 a rejection notice?

15 MR. DELLA TORRE: There were
16 exceptions raised. This was part of the
17 disorderly order circumstances or events that
18 occurred early on, so there were several
19 exceptions related to that time period of order
20 response flow inaccuracies.

21 MR. FINNEGAN: Can you describe in
22 some detail what happened between the initial
23 version of the draft final report and version
24 1.1 and accounted for the difference of 418 to
25 51?

1 MR. DELLA TORRE: It was actually a
2 very simple mathematical error, where we
3 inverted numbers in adding them together and
4 then subsequently subtracting them. It was
5 really a very, very basic mathematical mistake.

6 So question 40 actually addresses
7 the same issue.

8 As does 41.

9 Question 42: Please identify where
10 the CLEC aggregate measures as a data point to
11 check for consistency are reported.

12 This actually -- this may be a bit
13 of just a linguistics issue. The CLEC
14 aggregate measures are actually the PID
15 performance reports that are out there on the
16 web site, Qwest's web site. It's the monthly
17 PID reports. That is in fact the CLEC
18 aggregate values.

19 We did not choose to include that on
20 the draft final report due to the volume of
21 information provided and the fact it's publicly
22 available.

23 Question 43: Is it KPMG
24 Consulting's belief that the steps Qwest took
25 to improve the manual reject response time were

1 a direct result of exception 3020?

2 We actually have know basis for
3 forming an opinion to answer this question.
4 There is a representation made by Qwest in
5 response to the question that several of the
6 initiatives were on their way prior to the
7 release of the exception, but we have no way to
8 substantiate that assertion.

9 Question 44: Please explain why
10 KPMG Consulting reference UDIT in a test
11 cross-reference concerned with interconnection
12 trunks.

13 And in this case KPMG mistakenly
14 took an engineering view of you UDITs and
15 thought they were synonymous with LIS trunks.
16 Subsequently we have come to understand this is
17 not the case as per the tariff, understanding
18 of how you UDITs are to be treated and the
19 evaluation criteria will in fact be removed
20 from the report.

21 MR. WEEKS: UDITs and LISs are
22 different in tariffs, even though from an
23 engineer's perspective they look very similar.

24 MR. FINNEGAN: That I understand. I
25 don't understand why you removed the evaluation

1 criteria.

2 MR. FALCONE: We are not removing
3 the evaluation criteria from UDITs from a
4 functionality -- (inaudible). However this
5 particular cross-reference is timeliness, I
6 believe a FOC timeliness. If you go to the P05
7 PID there is no criteria for you UDITs today
8 established for FOC time limits.

9 MR. FINNEGAN: But there is for
10 interconnection service trunks, LIS trunks.
11 Evaluation criteria is concerned with LIS
12 trunks.

13 MR. FALCONE: LIS trunks were not
14 the scope of the test, though. Again, this may
15 be a semantics issue. I mistakenly thought you
16 UDITs and LIS trunks were one and the same.
17 That is why we put them in this category.

18 If you of asking what the timeliness
19 experience was on LIS trunks we have no
20 experience because they were not -- if you look
21 at the MPT, Section D, Appendix D if you look,
22 they were not in the scope of the test.

23 MR. FINNEGAN: The error would have
24 been referring to interconnection service
25 trunks in the evaluation criteria.

1 MR. WEEKS: Yes, even putting that
2 in was inappropriate given they were out of
3 scope.

4 A VOICE: Either category of
5 products -- do you want to say it?

6 MR. CRAIN: Andy Crain, for Qwest.
7 Neither category of products was designed to
8 have a statistically significant sample for
9 this kind of measurement, so this kind of
10 evaluation wasn't intended to be in there.

11 MR. WEEKS: It's a mistake on our
12 part.

13 MR. FINNEGAN: Okay.

14 MS. NOTARIANNI: Lynn Notarianni
15 from Qwest. Just a clarification.

16 At the beginning of the meeting
17 today you indicated that there were five I
18 believe unable-to-determines that would remain,
19 12-78-2 was one of those, so I assume that
20 would change.

21 MR. WEEKS: No, we are going to
22 leave that in there.

23 MS. NOTARIANNI: Just to give me
24 another number to worry about.

25 MR. WEEKS: If you'd like us to

1 leave it in, we'll leave it in.

2 MR. DELLA TORRE: Question 45: This
3 goes back to the discussion we began earlier
4 around jeopardy notices and PID P09. Please
5 explain why KPMG Consulting reached an unable
6 to determine result from P09 when Qwest has
7 missed commitments for resale orders.

8 In fact during Test 12 there were
9 nine misses and we did not receive jeopardy
10 notices for those missed orders.

11 Therefore, we raised observation
12 3108 after disaggregating those nine by region,
13 the dual test resulted in a no decision and,
14 therefore, needs to be brought to the TAG for
15 an agreement on how to proceed.

16 This is the same issue as question
17 number 46 but only for UNE-P orders versus
18 resale orders. And for the UNE-P there were 11
19 misses with no jeopardy notices.

20 MR. WEEKS: These are unables that
21 will get revised based upon the decision taken
22 by the TAG.

23 MR. DELLA TORRE: Before you
24 proceed, John, there was some discussion given
25 that most of the parties of the TAG are

1 actually participating in this here today, that
2 questions 45 and 46 could serve as a platform
3 to discuss observation 3108 as part of the,
4 quote, TAG Forum. So I would like the parties
5 to consider that and we can drift away from
6 these two questions and to the discussion of
7 that observation.

8 MR. FINNEGAN: Prior to that can I
9 ask a clarifying question? In observation 3108
10 it shows a sample size of 20. And you had
11 referenced nine misses.

12 MR. DELLA TORRE: Nine for resale,
13 11 for UNE-P, total of 20.

14 MR. FINNEGAN: Thank you.

15 MS. ANDERSON: I think the idea was
16 we have most of the TAG folks here. If it's
17 not going to be an issue, we could take care of
18 it right now. At least get the issues on the
19 table.

20 If that is not agreeable, we could
21 defer it and, our next TAG meeting will be next
22 Thursday. We don't have one this week.

23 MR. WILLIAMS: Mike Williams with
24 Qwest. We are ready to discuss it if the other
25 parties are willing to go a head-on that basis.

1 MS. ANDERSON: It's similar to the
2 delayed order type thing where it's kind of
3 like you can't get them or can't plan them.

4 MR. FINNEGAN: What about Wayne
5 Hart's suggestion of combining the results?

6 MR. DELLA TORRE: We have done that
7 and would be prepared to share that.

8 MR. FINNEGAN: Does that still
9 result in a no decision ?

10 MR. SALZBERG: This is Allen
11 Salzberg.

12 In anticipation of that suggestion,
13 Wayne's e-mail and (inaudible) in talking about
14 it, we went back and calculated three different
15 P values that combined results in different
16 ways.

17 The first two combined the results
18 of the regions but keep the products separate.
19 When doing that, you still have a no decision
20 and P values for resale and UNE-P are .13 and
21 .08 respectively.

22 If you also combine the products so
23 you use have one large grouping of 20, 40
24 missed jeopardies, if that is the right term,
25 missed jeopardies, but then you have a P value

1 of .01 and it turns into a fail.

2 So that is the additional
3 information we can provide you.

4 MR. WEEKS: Is that well understood?
5 Do we need to go through that again?

6 MS. ANDERSON: Could you go through
7 the first one again?

8 MR. SALZBERG: The first one we --
9 for resale the P value was .13. And for UNE-P
10 it was .08. So that is still a no decision in
11 both cases.

12 MR. DELLA TORRE: Combined regions,
13 it remains a no decision.

14 Combined products becomes a fail.

15 MR. WILLIAMS: This is Mike Williams
16 from Qwest. If I could offer some perspectives
17 and our response.

18 We would note that the context here
19 is that an area which, by nature, would not
20 receive statistically significant volume, so we
21 know from the outset that this is not one that
22 the test was expecting anyone to make
23 statistically significant conclusions.

24 We also note that low volumes in
25 fact are desirable in this particular

1 measurement, PO9 rejects or jeopardy
2 notification, the percent of them that are
3 given in advance.

4 And so the dual test, in effect,
5 really wasn't required to be done, because the
6 statistical significance was not required.

7 Nevertheless, it was done. And
8 supports the idea that this -- that there is
9 not enough information to make any conclusion.

10 So we would agree with what KPMG put
11 in their initial conclusion in principle.
12 There are some details we might take issue
13 with, but just the concept that there is not
14 enough information from the test to conclude
15 anything about jeopardies.

16 We would note as a technicality in
17 terms of the wording of a conclusion, in such
18 cases where statistical significance is not
19 required, the presumption is parity in the
20 absence of evidence to the contrary.

21 So we would submit that the
22 conclusion could be properly stated as, there
23 is not enough information to conclude that
24 Qwest is not providing parity service.

25 Now, having said that, I would also

1 note that all of these orders were of a
2 non-facility reason for their date to be
3 missed.

4 We would also note as we have
5 brought out in the past, in past TAG meetings
6 and discussions that the vast majority of our
7 jeopardy notifications are for facility
8 reasons, largely because that is the
9 predominant method or process by which we can
10 identify or provide notices.

11 So where -- we have a situation
12 where the test has, for its own reasons,
13 developed a collection of orders which aren't
14 typical of the cross-section of the total
15 measurement of P09. The typical cross-section
16 will have the vast majority of jeopardy
17 notifications being facility reasons for the
18 miss.

19 And so you would expect -- or you
20 wouldn't be surprised, maybe you wouldn't
21 expect but you wouldn't be surprised when you
22 roll up all the products as done in the latest
23 combined region combined products, that you
24 might get a fail there, because you are looking
25 at a subset of orders that are in the grouping

1 that is among those that don't typically get
2 jeopardy notifications.

3 An example would be where we can't,
4 basically, give a notification in advance of
5 the due date because the interval is a zero-day
6 interval or one-day interval. The practicality
7 of it is that you just don't see such very
8 commonly.

9 So we would submit that while, you
10 know, in detail you could look at orders and
11 compare retail and wholesale, the point is that
12 we don't have a representative population
13 sufficient to declare a fail when combining the
14 results with what really retail is looking at.
15 The whole set of the test population is only --
16 only contains non-facility situations in this
17 case.

18 So again, we would kind of go back
19 to the simple level and say we would be content
20 with a conclusion that says there is not enough
21 information to conclude we are not providing
22 parity.

23 MR. FINNEGAN: John Finnegan. If I
24 could respond.

25 We heard yesterday from KPMG that

1 there was no minimum sample size for parity
2 test that KPMG looked to, with the dual test,
3 if the dual test came out with a result, there
4 was no need to have a minimal sample size
5 before any conclusion was reached.

6 What the PIDs do is have for resale
7 and UNE-P a measure of when you miss a
8 commitment, what percent of the time do you
9 provide a jeopardy notice.

10 Yes, it's good that the number of
11 missed commitments is low. But that is not
12 what this is measuring. This is saying when
13 you do miss a commitment, what percent of the
14 time do you provide a jeopardy notice.

15 In the case of the test that was
16 zero percent. They didn't provide any.

17 If you look at the results of the
18 dual test, in the first analysis that Allen
19 talked about, you look at it just for resale,
20 what those P values mean is, if you assume
21 parity, what is the likelihood that you will
22 get results that bad, meaning zero percent
23 jeopardy notices provided when there is a
24 miscommitment.

25 What that says is there is only a

1 13 percent chance that the results would be
2 that bad if there is parity.

3 The other side of the dual test says
4 if you assume there is discrimination, what is
5 the likelihood that you would receive
6 zero percent?

7 The likelihood if you assume
8 discrimination of getting zero percent is a P
9 value of 1, a hundred percent.

10 If you want to look at it from a
11 statistical perspective, the results are
12 certainly leaning very strongly towards the
13 conclusion of disparity.

14 If you combine the resale and UNE-P
15 results even further to get that sample size up
16 to 20, the retail analog that is being compared
17 to for resale and UNE-P are the same. If you
18 look at observation 3108 and look at the retail
19 sample size, you can see the exact same
20 numbers. What that means is for the resale
21 CLEC results it was comparing it to the exact
22 same retail results as was for the UNE-P
23 results.

24 In that case if you combine the
25 UNE-P and the resale results, again, what the P

1 value of .01 means is if you assume
2 non-discrimination, if you assume parity, what
3 is the probability that you would get results
4 that bad, meaning zero percent jeopardy notices
5 provided. And it's 1 percent, one out of a
6 hundred. That would be a clear fail under the
7 dual test.

8 From a test perspective and the
9 evidence that is available from KPMG, I believe
10 there is enough information available for KPMG
11 to render a decision. I would say the results
12 show disparity from a test perspective.

13 If Qwest wants to argue some other
14 facts to the contrary outside this test, that
15 is certainly within their purview, but from a
16 test perspective I think the facts speak for
17 themselves and they do strongly point towards a
18 conclusion of disparity.

19 MR. DELLA TORRE: I would like to
20 make one point of fact, that the unable to
21 determine that is in the draft final report was
22 not put in there based on the evidence we are
23 discussing here right now.

24 The unable to determine that was in
25 the report was based on our analysis of the

1 1500 retest transactions where in fact we did
2 not receive any jeopardy notices and,
3 therefore -- or misses, and, therefore, were
4 unable to determine on zero data. That was a
5 mistake.

6 When we went and looked at the
7 entire life cycle of the test it was only at
8 that point, and this was actually because of
9 work we were doing based on questions submitted
10 to us by AT&T, did we note that there were in
11 fact 20 misses and no jeopardies.

12 So then we went and did this
13 analysis, issued the observation, we are having
14 the discussion now.

15 So please understand that our
16 conclusion of unable to determine is not based
17 on the information that we are drawing now.

18 MS. ANDERSON: That's right.

19 MR. DELLA TORRE: We are putting
20 this forward to the TAG and there is precedent
21 for situations where no decisions have been
22 reached through the dual test that is brought
23 to the TAG. In fact, one was related to
24 jeopardy notices. Another was delay days, if I
25 recall. And the TAG came to a conclusion.

1 And we cited that conclusion as the
2 result in our report.

3 So the same is true here. We may be
4 inclined or we will adhere to the TAG decision
5 if one is concluded on this observation. And
6 these particular results may change to satisfy
7 or not satisfy, based on the outcome of this
8 TAG discussion.

9 I just wanted to make clear the
10 unable to determine, where it came from.

11 MS. ANDERSON: What I am hearing
12 initially is that there are conflicting views
13 as to what the TAG might come to as a
14 conclusion.

15 For example, if I were to propose
16 that the TAG say that this item be given
17 satisfied as a result of this discussion, would
18 there be any objection?

19 A VOICE: Yes.

20 MS. ANDERSON: Okay.

21 MR. WILLIAMS: And we would agree
22 there is not enough evidence to say.

23 MS. ANDERSON: Okay. So what I
24 would like to suggest. I just wanted to make
25 sure that I was reading the situation properly.

1 I would like to suggest we put this on the TAG
2 call for a week from tomorrow and we will go
3 through whatever discussion and dialogue and if
4 it's at impasse we will have the steering
5 committee settle it shortly after that, either
6 on the Thursday call or go to impasse.

7 MR. CRAIN: The only question I
8 have, Denise, is that timely for getting out
9 the final report or do we need a special TAG
10 meeting before that and maybe Friday we ought
11 to have a conference call on this or something?

12 MS. ANDERSON: We could do something
13 before then. I will leave it to KPMG. If we
14 had a decision by -- what is your drop dead
15 date?

16 MR. DELLA TORRE: It would be
17 beneficial to us if we could move it forward by
18 24 or even 48 hours.

19 MS. ANDERSON: Why don't we plan to
20 do a special TAG call then early on Monday
21 morning.

22 VOICE: Are we at impasse?

23 MR. WILLIAMS: It sounds like it.

24 MS. ANDERSON: Do we want to just do
25 impasse statements and the steering committee

1 could settle it on their Monday call? That
2 will work, too? Okay.

3 MR. CRAIN: Okay.

4 (Pause.)

5 MS. ANDERSON: What we will do
6 absent objection is this evening I will send
7 out an impasse statement template. You guys
8 can fill in your stuff, get it back by Friday.
9 I will get it to the steering committee over
10 the weekend and the TAG of course and steering
11 committee can settle it on their Monday call.

12 MR. WEEKS: Can I ask what the
13 impasse is? Is the impasse over whether or not
14 there is enough information to form an opinion
15 and one position is there is not enough
16 information, the other position is there is
17 enough information?

18 MR. FINNEGAN: Just to clarify
19 AT&T's position is, there is sufficient
20 evidence to say --

21 MS. ANDERSON: Not satisfied.

22 MR. FINNEGAN: Failure of the
23 statistical test in that observation.

24 As far as what conclusions KPMG
25 reaches as a result of that, I don't think

1 either AT&T or Qwest should put conclusions in
2 your head.

3 MR. WEEKS: That is what I am
4 trying --

5 MR. FINNEGAN: That is entirely up
6 to you.

7 It's not an issue of the result of
8 satisfied or not satisfied for the particular
9 test cross-reference. It is for that
10 observation is there sufficient evidence to
11 conclude a test failure or test pass or a no
12 decision.

13 MR. DELLA TORRE: And just based on
14 precedent, the other no decision situations
15 that we have encountered that have been brought
16 to the TAG have been brought because of low
17 volume, and yet we have reached a conclusion.

18 So, low volume has been a situation
19 we have dealt with before, and we have still
20 decided on a pass/fail.

21 I can pretty much confidently say
22 that that pass/fail will also result in a
23 sat/not sat for this criteria.

24 MR. WILLIAMS: Just to balance
25 AT&T's position with our position, it is not

1 only that there is not enough information, but
2 that in the context of what the test is
3 requiring, it has not required statistical
4 significance for this measurement. A dual test
5 is technically not appropriate, not required,
6 not a standard that has to be met. If it is
7 applied, it's being applied in unfair
8 circumstances where, by definition, the volumes
9 have not provided the alpha and beta levels,
10 the type 1 and type 2 error levels that we
11 would feel comfortable with. There is a lot of
12 issues there.

13 But the key point is not enough
14 information. But also that what information we
15 have is not designed, was not planned to be a
16 proper comparative at these volumes for the
17 retail comparison. In other words, you have
18 got the non-facilities versus the retail which
19 contains a lot of facility.

20 MS. ANDERSON: Okay. So I think in
21 terms of the impasse document that I will put
22 out, it basically, the issue which Mike
23 clarified, thank you, is sufficient information
24 to reach a decision, not should it be pass or
25 fail. You guys can put all your unfair, not

1 enough this, and plenty of everything to say
2 no-go in your position statements. And the
3 steering committee will, as they always do,
4 play Solomon.

5 So, what I would like to do --

6 MR. DELLA TORRE: We will be left at
7 that point without a decision, though. If the
8 decision on that impasse will not result in a
9 conclusion on this issue.

10 MS. ANDERSON: Well, I think the
11 steering committee can decide what direction
12 they want to take. Maybe the direction is that
13 it just remains unable to decide.

14 MR. VIVEROS: Denise, (inaudible)
15 there is not piece of information to get out
16 there. They did issue 3108. Qwest has not
17 responded to that. We are in the process of
18 doing that. In our response will be some
19 disagreements around the base number. So from
20 our perspective the number is going to get
21 smaller.

22 We think it's important that KPMG
23 see and analyze our response and provide
24 feedback before the steering committee makes
25 their decision.

1 MS. ANDERSON: Okay, so when will
2 you have your response?

3 MR. VIVEROS: We are working to get
4 our response out today.

5 MS. ANDERSON: Okay, so the timing
6 should work. (Inaudible) meanwhile we will get
7 the impasse statements together and go from
8 there.

9 MR. FINNEGAN: Is it appropriate to
10 get the impasse statements if we haven't seen
11 Qwest's response or KPMG's response to the
12 response?

13 MR. WEEKS: I agree. I was getting
14 ready to say the same thing. I think we need
15 to hold off drafting everyone's positions until
16 we have had a chance to reassess the response
17 to the observation.

18 MS. ANDERSON: Okay. So they are
19 going to get theirs out tomorrow. Then when
20 would you folks think you would --

21 MR. DELLA TORRE: Friday, close of
22 business at the earliest.

23 MS. ANDERSON: At that point that
24 will be distributed to the TAG. I will send
25 the template out, you guys can start it. But I

1 would need to have it back by Sunday, COB, and
2 then the steering committee could have the
3 morning to look it over and raise any questions
4 that we could get folks on the phone about.

5 MR. FINNEGAN: Not to throw sand in
6 the gears here, but KPMG may not disagree with
7 Qwest's response. And that may not be the end
8 of it, once KPMG responds.

9 Rather than put a date certain on
10 the impasse, I think we need to wait until the
11 argument of the facts has been resolved.

12 If we can set it conditionally, if
13 KPMG agrees on the facts, after review of
14 Qwest's response, it might be appropriate to
15 have a Sunday COB deadline.

16 But if there is still some dispute
17 on the facts after KPMG's response, it would be
18 premature to start the impasse process.

19 MS. ANDERSON: It's looking a lot
20 like next Thursday, isn't it?

21 MR. FINNEGAN: Well, it doesn't have
22 to be next Thursday, but it doesn't also have
23 to be Sunday.

24 MR. HART: I think it's still better
25 to plan for a Monday decision. And if we can't

1 reach one at that point, let's not go.

2 MR. FINNEGAN: Frankly, I would be
3 comfortable without write-ups, have a quick
4 call, argue the facts, then let the steering
5 committee make their decision.

6 MS. ANDERSON: Well, I would
7 hesitate to not have a write-up. Look how many
8 times we go back to look what the record said,
9 look how many times we go back to look at the
10 TAG minutes. That came up yesterday. I just
11 gave Bob an excerpt from the TAG meetings.

12 Otherwise, in hindsight we say well,
13 what I really meant was, and you know, I just
14 would prefer not to do it that way. But maybe
15 we could combine the approach and maybe have a
16 quick call and have paperwork that follows
17 that.

18 MR. FINNEGAN: Or transcript.

19 MS. ANDERSON: With no augmentation
20 of what was said.

21 MR. FINNEGAN: Or transcribe the
22 call.

23 MS. ANDERSON: Yeah, we could do
24 that.

25 MR. CONNOLLY: You are just talking

1 about transcribing presentations of the
2 parties.

3 MS. ANDERSON: Yes. But by the time
4 we do that you might as well write it up and
5 send it to the TAG.

6 Why don't we do that. We will
7 proceed with the next steps, which are the 3108
8 response from Qwest, then KPMG's review. And
9 why don't we schedule a call for Monday morning
10 at 8 Mountain, and try to make sure we know
11 where we are at. If a quick write-up is
12 required from each party after their
13 presentation, we won't even have to have that
14 transcribed. That could be discussed,
15 provided, have them decide it that day if
16 appropriate or reschedule until Tuesday or
17 Wednesday depending on what the facts are at
18 that moment.

19 Would that be agreeable to the
20 parties?

21 It appears John is shaking his head.

22 MR. FINNEGAN: Yes, that is fine.

23 MS. ANDERSON: Anyone at Qwest --
24 Chris shook his head. Okay.

25 (Laughter.)

1 MR. DELLA TORRE: If I could suggest
2 quickly we have two more questions for AT&T
3 Test 12, then we will take our morning break.

4 Let's run through these real quick
5 and take a time out.

6 Question 47: In discussing the PO-9
7 results for unbundled loops, KPMG Consulting
8 references the number of orders received in
9 each of the three regions. Should the
10 reference of the number of orders received have
11 been the number of orders missed?

12 That is correct. We will make that
13 change to the final report.

14 Question 48: I believe this was
15 originally intended for HP.

16 Scenario 10 of Exception 2068
17 identifies 32 instances where Qwest assigned a
18 customer-not-ready code to Pseudo-CLEC orders.

19 Did HP concur that it was not ready
20 for installation?

21 Please describe the conditions that
22 resulted in HP not being ready.

23 This was actually properly deferred
24 to KPMG Consulting, and we do concur. We were
25 not ready to accept these orders. We had

1 scheduling conflicts around our ability to
2 coordinate on the field and required SOPs be
3 sent to change the dates.

4 MS. ANDERSON: So that was the last
5 one, right? We will break for 15 or 20
6 minutes.

7 (Recess.)

8 MR. DELLA TORRE: Before we begin
9 with the WorldCom questions, I would like to
10 give it over to HP, the New HP, to discuss AT&T
11 question number 32.

12 MR. MAY: If you remember the
13 question was to please identify the retest
14 quantities that were the basis for closing,
15 basically 2029 through -- exceptions, sorry,
16 2029 through 2037.

17 We had the quantities for all of
18 them but 2029 and the quantity for 2029 would
19 be zero instances out of a total of 1,670
20 original and supplemental LSRs.

21 MR. DELLA TORRE: Question 1,
22 WorldCom: Were all UDIT ASR orders submitted
23 via fax?

24 And the answer is no.

25 Question 2: Did the intentionally

1 erred transactions submitted in the POP
2 evaluation contain a single error or multiple
3 error conditions?

4 All our planned errors had single
5 error conditions.

6 However, there were situations of
7 unplanned error that contained multiple errors.

8 MS. OLIVER: Becky Oliver, WorldCom.
9 Was that per scope of the MTP or
10 just --

11 MR. WEEKS: Just the way we designed
12 it.

13 MR. DELLA TORRE: Yes, that is our
14 test design.

15 MS. OLIVER: Thank you.

16 MR. DELLA TORRE: Question 3: What
17 criteria did KPMG Consulting use to determine
18 which orders would be canceled or future dated
19 to avoid actual provisioning and which orders
20 would progress through physical provisioning?

21 As we discussed earlier, the only
22 orders that were future dated were the EELs
23 with LNP.

24 Question 4: Clarify how KPMG
25 Consulting completed a comparison between CLEC

1 production data and P-CLEC transaction data.

2 In this case we reviewed the P-CLEC
3 results that were captured through our
4 transaction testing with the Qwest produced
5 aggregate CLEC results reported in the PIDs.

6 Question 5: When did Qwest roll out
7 its IMA EDI implementation of LSOG 5 and over
8 what period of time did HPC develop and use its
9 IMA EDI interface?

10 I will refer this question to HPC.

11 MR. MAY: Geoff May with HPC. There
12 are essentially three questions here so I will
13 kind of take them one at a time.

14 When did Qwest roll out it's IMA EDI
15 implementation of LSOG 5? Qwest implemented
16 LSOG 5 in conjunction with IMA release 8.0 that
17 was implemented on August 19, 2001.

18 When did HP develop the various EDI
19 interfaces.

20 The P-CLEC developed and implemented
21 the following IMA EDI releases: 5.0, August
22 16, 2000, through February 8, 2001; 6.0,
23 December 4, 2000, through February 20, 2001.
24 That was a migration.

25 6.0 for new functionality December

1 4th, 2000 to April 4th, 2001.

2 The 7.0 release for volume testing
3 purposes, March 20th, 2001, through May 4th,
4 2001.

5 7.0 for Test 12 purposes, August
6 28th, 2001 through October 8, 2001.

7 And 8.0 for volume test purposes,
8 August 21st, 2001 through September 18th, 2001.

9 And part 3. When did we use the
10 interfaces. The P-CLEC used the IMA EDI 6.0
11 interface from April 12, 2001, to October 5th,
12 2001.

13 The P-CLEC used the IMA EDI 7.0
14 interface from October the 8th, 2001, to April
15 30th, 2002.

16 MR. DELLA TORRE: Geoff, why don't
17 we move to question 7, as well, while we are on
18 this subject.

19 MR. MAY: Similar. This one just
20 has two parts. When did Qwest roll out its IMA
21 GUI implementation of LSOG 5.

22 The answer to that is Qwest
23 implemented LSOG 5 GUI in conjunction with the
24 IMA release 8.0 that was implemented on August
25 20th, 2001.

1 Over what period of time did HPC, as
2 the P-CLEC, use its IMA GUI interface?

3 The P-CLEC used the IMA GUI 6.0
4 interface from April 12th, 2001, through April
5 22nd, 2001.

6 The P-CLEC used the IMA GUI 7.0
7 interface from April 23rd, 2001, through August
8 20th, 2001.

9 The P-CLEC used the IMA GUI 8.0
10 interface from August 21st, 2001, to February
11 24th, 2002.

12 MS. OLIVER: Becky Oliver, WorldCom.

13 Follow-up questions for
14 clarification.

15 Did, to confirm, HP used EDI IMA
16 version 8.0 which is implementation of LSOG 5
17 just for volume testing rather than
18 functionality testing.

19 MR. MAY: EDI or GUI?

20 MS. OLIVER: I was going to ask the
21 same for GUI.

22 MR. MAY: That was EDI?

23 MS. OLIVER: This is asking about
24 EDI.

25 MR. MAY: It's a correct statement

1 we used 8.0 only for volume testing with one
2 exception, which was an LNP scenario that
3 involved a participating CLEC, for one
4 participating CLEC.

5 MS. OLIVER: And for the GUI, 8.0?

6 MR. MAY: The GUI 8.0 was used in
7 Test 12, feature functionality testing. If you
8 want the date, we will repeat it.

9 MS. OLIVER: That is not necessary.

10 Can you please describe what was
11 reason for that?

12 MR. MAY: All of these decisions
13 were discussed in project managers meetings as
14 to whether or not the P-CLEC should migrate to
15 version 8.0 for feature function testing.
16 Decision was made maybe even by the steering
17 committee as to whether we would go to 8.0 and
18 the decision was only for volume on 8.0.

19 MS. ANDERSON: Yes, we had an
20 impasse on that and it was resolved by the
21 steering committee.

22 MS. OLIVER: That addressed why 8.0
23 was used for functionality via the GUI and not
24 via EDI?

25 MS. ANDERSON: Not exactly.

1 MR. MAY: I am sorry.

2 MS. ANDERSON: Go ahead.

3 MR. MAY: In part that is because
4 you know the GUI releases a flash cut. So
5 there was no alternative. That played a part
6 in that.

7 MS. OLIVER: That's okay. Thank you.

8 MR. MAY: You are welcome.

9 MR. DELLA TORRE: I will address
10 questions 6 and 8 together as they are the same
11 question, one referencing EDI and one GUI.

12 If the P-CLEC submitted standalone
13 pre-order queries specify when and how it was
14 determined that an IMA EDI pre-order query
15 should be run to validate customer information.

16 And we interpreted the question to
17 be getting to the issue of standalone
18 pre-orders versus integrated pre-orders that we
19 explained earlier.

20 The types of pre-orders and when
21 they would be run was articulated in the MTP
22 and Appendices D and K. And the choice to use
23 integrated for particular test cases was by
24 test design from the MTP for both EDI and GUI.

25 Question 9. Did KPMG Consulting

1 evaluation that Qwest's systems provide
2 required pre-order functionality including an
3 assessment of Qwest's systems compliance to OBF
4 pre-ordering guidelines?

5 And we will again defer this
6 question to HP.

7 MR. MAY: This particular assessment
8 actually would be contained in HP's final
9 report, appendices B and C, which we had
10 discussed briefly earlier in response to a
11 question AT&T had.

12 So, I guess, even though the
13 question is directed to KPMG if we were to
14 direct it to HP, the question would be yes. I
15 mean the answer.

16 MS. OLIVER: Becky Oliver, WorldCom.

17 So HP is confirming that they did
18 do -- HP did do some type of evaluation of
19 Qwest systems adherence to pre-ordering OBF
20 guidelines?

21 MR. MAY: Not their systems per se
22 but their documentation and adherence to OBF.

23 MS. OLIVER: Okay. Thank you.

24 MR. DELLA TORRE: Question 10. Do
25 the 4,058 IMA GUI pre-order transactions

1 correlate to 4,058 separate customer accounts?

2 If not, approximately how many
3 individual customer accounts were accessed for
4 IMA GUI pre-order queries?

5 And it is not a one-to-one
6 relationship. We submitted approximately 1,000
7 different GUI accounts or JASCs is the acronym
8 we use internally to HP for both pre-order and
9 order GUI activity.

10 Question 11. Similar question but
11 for EDI. And the response is the same, the
12 number of EDI JASCs or accounts were
13 approximately 5,000.

14 Question 12: Are the 490 P-CLEC
15 LSRs submitted via the IMA GUI which KPMG
16 determined to have received expected order
17 responses original version orders so that
18 received responses were original responses?

19 Our reading of this question was the
20 original meant the first order rather than the
21 supplement. And in fact, we did have
22 transactions with planned supplements and some
23 that were just the original LSR.

24 In both cases we received the
25 responses that were expected.

1 Question 13: What level of analysis
2 was completed to conclude that for the 490
3 P-CLEC LSRs submitted via the IMA GUI
4 interface, all LSRs received the expected
5 response? Specifically, did KPMG Consulting
6 analyze the content of the LSR responses (such
7 as verifying the correct due dates and
8 verifying the correct reject code)?

9 And we will defer this question, we
10 will defer to HP.

11 (Pause.)

12 MR. DELLA TORRE: To be specific in
13 response to this question, KPMG Consulting did
14 not analyze the response content. It was our
15 understanding that HP was doing that validation
16 so I will refer this to HP.

17 MR. MAY: Taking the question as
18 directed to HP, we did validate the content of
19 the LSR responses.

20 MR. DELLA TORRE: Question 14.
21 Specify what is the scope of the following KPMG
22 evaluation criteria: Qwest provides expected
23 order responses for LSRs submitted via IMA GUI.
24 Specifically, does this evaluation include all
25 order responses for each LSR through the

1 order's complete life cycle?

2 And the answer is no. We were
3 looking for a response, this was FOC in error,
4 I believe, is that the criterion? For this
5 particular criterion we were looking for the
6 appropriate FOC order error. We did not track
7 it through to completion for this particular
8 criteria.

9 MS. OLIVER: Becky Oliver, WorldCom.

10 I would like to go back one to
11 question 13 and ask if HP can provide a lower
12 level of granularity in the response that was
13 provided that HP validated the content of the
14 LSR responses.

15 Can it be specified which data
16 elements were validated which led to this
17 overall conclusion that the expected responses
18 were received?

19 (Pause.)

20 MR. MAY: The specific validation or
21 verification would depend on the response type.
22 There's at least six different types of
23 responses. We evaluated the responses as it
24 pertained to the order, i.e., test instance
25 required.

1 MS. OLIVER: So would it be a fair
2 assessment or statement that all primary
3 aspects of the order response were validated?
4 I mean, was there anything that HP, say for
5 example on a FOC, that you just looked for one
6 data element such as the due date and didn't
7 pay attention to some other aspects?

8 MR. MAY: No. We would have looked
9 at all the relevant --

10 MS. OLIVER: Okay.

11 MR. MAY: Of course, Becky, if there
12 was a problem, we would have raised it in an
13 observation and exception, and/or an exception.

14 MS. OLIVER: Thank you.

15 MR. MAY: You are welcome.

16 MS. OLIVER: I did actually have a
17 follow up on question 14, please.

18 I understood that there was a
19 distinction made for this particular criteria,
20 that the order responses be considered or
21 looked for, whether FOC or a reject.

22 And I guess I am wondering or
23 looking for an explanation of this evaluation
24 criteria stated expected order responses for
25 LSRs. So, I just heard there are six different

1 types of order responses.

2 Why did this criteria just include
3 the FOC or reject?

4 MR. DELLA TORRE: We have other
5 criteria that assess the FAs or functional
6 acknowledgments. We also have criteria that
7 assess the SOCs or service order confirmations.
8 The SOC specifically is 12-10-1.

9 So in this particular case we were
10 looking to see if the LSR was properly
11 confirmed or rejected.

12 There are other criteria to see if
13 it were acknowledged or completed.

14 MS. OLIVER: Okay.

15 MR. DELLA TORRE: Question 15 is the
16 same as question 13, but it is the EDI
17 interface.

18 The question asks did KPMG
19 Consulting analyze the content of the LSR
20 responses.

21 And we did not. It was our
22 understanding of the roles and responsibilities
23 that that was HP. So I will defer question 15
24 to HP.

25 MR. MAY: Our answer would be the

1 same as the previous question, number 13.

2 MR. DELLA TORRE: In fact, for much
3 less drama, question 16, our answer is the same
4 as 14. EDI versus GUI is the distinction.

5 So question 17: How was the sample
6 size of 150 LSRs determined?

7 This is a question that was answered
8 in AT&T's section. There were 50 resale, 50
9 UNE-P and 50 UNE-L.

10 Question 18. Why was the time of
11 receipt for SOCs received via the GUI interface
12 not available to KPMG.

13 This was also discussed earlier,
14 that it was a date, not a time.

15 Question 19. What analysis did KPMG
16 conduct regarding the timeliness of receiving
17 work completion notifications via the GUI to
18 conclude that Qwest systems or representatives
19 provide timely work completion notifications in
20 response to LSRs submitted via the IMA GUI.

21 And I believe this was also
22 discussed earlier.

23 Question 20: Why was the time of
24 receipt of SOC received via the EDI interface
25 not available.

1 In fact, this is a mistake that will
2 be revised in the final report also as
3 discussed during the AT&T section.

4 Question 21: Specify from what
5 event trigger the average response time of 262
6 minutes for receipt of work completion notices
7 was calculated.

8 This result was obtained by using
9 the formula for calculating PO6-B PID per
10 Qwest's PID documentation.

11 The specific data elements used to
12 calculate it are SOC receipt date and time and
13 the date and time of the completion of the last
14 internal Qwest service order associated with
15 that POM.

16 Question 22. Why was the time of
17 the receipt of BCN data received by the P-CLEC
18 via the GUI and EDI interfaces not available?

19 As discussed earlier GUI remains
20 unavailable, but EDI will be reflected for the
21 PO7-B PID in the final report.

22 Question 23: Define the use of
23 comparable in following -- in the following
24 KPMG finding: Qwest's product and feature
25 offering for resale and UNE-P were reviewed and

1 found to be comparable with retail?

2 The word comparable is used to
3 describe functionality available both from the
4 wholesale and retail perspectives regarding
5 product and feature offerings.

6 Of course allowing for differences
7 in the names of the products, groupings, the
8 fact that the interfaces by design are
9 different.

10 Question 25: Specify which
11 pre-ordering transactions were used by KPMG
12 Consulting in its functionality comparison
13 between wholesale and retail pre-order and
14 order capabilities.

15 The pre-order transactions used in
16 this comparison were those required to submit
17 an order for the products and features listed
18 in the evaluation criterion, specifically,
19 validate customer address or AVQ. Obtain
20 customer service record, CSR. Reserve
21 telephone numbers which is both the TNAQ and
22 TNSQ. Determine product and feature
23 availability or the SAQ. Perform facility
24 availability check, FAQ. Schedule appointment
25 AAQ and ASQ. Obtain loop qualification

1 information, RLDQ and cancel an appointment or
2 reserve TN, the CTQ.

3 MS. OLIVER: I didn't hear -- Becky
4 Oliver, WorldCom.

5 Did we skip question 24?

6 MR. DELLA TORRE: No, that was the
7 discussion of the notion of comparable.

8 MS. OLIVER: Right. 24 is asking if
9 KPMG made --

10 MR. DELLA TORRE: Oh, my apologies.

11 MS. OLIVER: -- related comparable
12 evaluation on the UNE aspect.

13 MR. DELLA TORRE: My apologies, I
14 skipped it inadvertently.

15 As there is no retail product, that
16 we believe is the equivalent on the retail side
17 of a UNE, we did not do a retail comparability
18 assessment of UNE products.

19 For supplemental information on
20 question 25, there were pre-order types for
21 which we felt there were no retail analog and,
22 therefore, were not in the scope of the test.
23 That includes the validate customer CFA or
24 CFAQ. Obtain directory listing information for
25 an existing UNE-L customer. Obtain design

1 layout record or the validate (inaudible) MPQ .

2 We will move forward with the
3 Montana questions.

4 Question number 1 relates to PID
5 PO-10 which we discussed earlier, where there
6 are three different sets of numbers 418
7 originally, 51 subsequently, and then zero, in
8 fact, that were lost orders and they did
9 receive subsequent responses of one type or
10 another.

11 Question number 2: Table 12-7, Test
12 Cross Reference 12-11-3, paragraph 4, pre-order
13 and order capabilities. Please identify in
14 which exception(s) or observation(s) KPMG
15 Consulting formally raised the issue of Qwest's
16 adherence to due date expedites.

17 And that was observation 3106.

18 Moving with Oregon questions. Table
19 12-8-2. What was the result of the
20 functionality evaluation?

21 And in this particular case the
22 participating CLEC was able to successfully
23 order and have viewed its provision in all
24 three regions.

25 That would be subsumed in evaluation

1 criteria 12-5-1.

2 MR. EMMONS: I have one follow up.

3 MS. ANDERSON: Please pass the mic
4 back.

5 MR. EMMONS: Irv Emmons, Oregon PUC
6 staff.

7 (Inaudible) whenever there was an
8 unable to determine as KPMG Consulting result
9 or inconclusive, and in order to go back and
10 justify that as a result, shouldn't it also
11 have that type of statement in there? The way
12 this one ended was the functionality and you
13 have given an explanation of a result of that,
14 which since you brought that up would be
15 appropriate and because of your sample size not
16 being sufficient should it have that statement
17 at the end?

18 MR. DELLA TORRE: This is actually
19 the criteria that's being removed from the
20 discussion we had earlier where units were
21 inappropriately kept in the test as a trunk
22 issue and we really should remove it entirely.
23 So that will be removed entirely.

24 MR. EMMONS: That is satisfactory.
25 Thank you.

1 MR. DELLA TORRE: And the second
2 question from Oregon refers to table 12-9-6.
3 The discussion on parity in the Western Region.
4 Is there a typo? Why is there a conflicting
5 result in a statistical test when both test and
6 retail are at 8 percent.

7 And in fact this is not a typo.
8 Even though both were 8 percent, the dual
9 statistical test result came out with a
10 conflicting result. It is likely, in fact, the
11 small sample size from the Western Region that
12 is the main factor in determining that
13 conflicting result.

14 MR. EMMONS: This is Irv Emmons
15 again. Then it should I think be stated as
16 such so it clarifies that part of it.

17 A VOICE: It's the dual test.

18 MR. WEEKS: Right. And so the
19 suggestion is refer to the dual test, because
20 it looks on the face like the numbers are the
21 same.

22 MR. EMMONS: That just clarifies that
23 part of it.

24 MR. DELLA TORRE: Okay. Let's take
25 a look at that criterion.

1 (Pause.)

2 MR. WEEKS: Actually, the very last
3 paragraph refers to that.

4 MR. DELLA TORRE: That the dual test
5 resulted in a conflicting test result for the
6 Western Region and that this issue was brought
7 before the TAG.

8 MR. WEEKS: It's already in the
9 report I think, unless you would like us to
10 clarify it further.

11 MR. DELLA TORRE: The very last
12 paragraph.

13 MR. EMMONS: I understand. That was
14 brought up by another staff member. She is not
15 on the conference. I don't hear her. We will
16 go ahead and accept that.

17 MR. WEEKS: Okay.

18 MR. DELLA TORRE: Thank you.

19 MR. WEEKS: If you find out later
20 that, you know, you guys have a different
21 opinion, just get back to us.

22 MR. EMMONS: Okay.

23 MR. DELLA TORRE: There are a few
24 questions that we are prepared to answer that
25 were HPC referrals to us. However, there was

1 an unnecessary level of confusion caused
2 yesterday. So we will wait until those
3 questions are reached during HP's section.

4 However, I think it is appropriate
5 to go through a few supplemental questions that
6 were provided to us by, I believe we have --
7 from AT&T for Test 12.7 which was covered in
8 previous ECCs.

9 Question number 1 is please explain
10 the basis for the KPMG Consulting report
11 information about the retail loop qualification
12 process.

13 And if by that the basis means how
14 we drew our conclusions, we would refer you to
15 the section titled evaluation Methods and also
16 analysis Methods, where we detail or indicate
17 that we conducted Qwest -- reviewed Qwest
18 documentation, we conducted interviews with
19 Qwest personnel and we conducted on-site
20 observations of the retail loop qualification
21 process.

22 The second question for Test 12.7:
23 In which Qwest work center are retail end user
24 trouble calls answered when those trouble calls
25 deal with difficulties being experienced with

1 the Web-site tool?

2 In fact, this was, the Web-site tool
3 was not part of our assessment and beyond the
4 scope of the parity test, 12.7.

5 MR. CONNOLLY: But you do mention
6 the retail tool in your report. Isn't is that
7 correct, the retail GUI?

8 MR. DELLA TORRE: We will have to
9 get back to you on that because we don't have
10 the information prepared. We thought our
11 answer would suffice and we don't have the
12 ability to follow up on that.

13 Could you repeat the question?

14 MR. CONNOLLY: I was curious because
15 as I read 12.7 there is a discussion about the
16 retail tool. So --

17 (Telephone interruption.)

18 MR. WEEKS: We were comparing the
19 functionality of the tools. The question as to
20 if you have a problem with that tool what work
21 center do you phone in your trouble calls to.
22 I don't know that that was necessarily a part
23 of what we looked at.

24 MR. CONNOLLY: Well, let me go back
25 to our first question.

1 MR. WEEKS: Okay.

2 MR. CONNOLLY: And your answer to
3 our question was that you looked at Qwest
4 documentation, interviewed Qwest personnel and
5 you observed Qwest employees at work centers.

6 MR. WEEKS: Using the retail tool.

7 MR. CONNOLLY: Performing the retail
8 queries.

9 MR. WEEKS: Right.

10 MR. CONNOLLY: Did you look at all
11 at any use of their GUI that is used by retail
12 end users to perform --

13 MR. DELLA TORRE: No, we did not.

14 MR. WEEKS: We would not have done
15 that because that is not a retail function
16 per se.

17 MR. CONNOLLY: That is where my
18 confusion comes up, the next question covered
19 in your report --

20 MR. WEEKS: We made reference, I
21 don't know what we did to evaluate it. We will
22 need to look at it and get back to you.

23 MR. CONNOLLY: And with that
24 evaluation if you found out how do users of
25 that GUI get their questions answered relative

1 to connectivity --

2 MR. WEEKS: I now understand the
3 question. I don't know the answer. We will
4 figure it out and come back to you.

5 MR. CONNOLLY: Thank you for that.

6 MR. DELLA TORRE: I believe at this
7 point the KPMG Test 12 section is concluded.
8 There is a follow-up from HP on a previous
9 question, I believe.

10 MR. MAY: Yes. Geoff May from HP.
11 On WorldCom question number 13, in response to
12 Becky's follow up, there are actually four
13 e-mail response types. Those would be the FOC,
14 LSR reject, LSR error and an LSR jeopardy. I
15 think I misspoke and said there may be six. We
16 just wanted to clarify that. Thank you.

17 MR. DELLA TORRE: I believe the next
18 item on the agenda is the HP portion for Test
19 12.

20 MR. MAY: Geoff May with HP. I will
21 refer you to, actually I will start with the
22 Washington state PUC questions.

23 There were no state-specific HP Test
24 12 results and all HP observations and
25 exceptions have been closed resolved.

1 And beginning now with Test 12 A,
2 AT&T Question number 1.

3 Question 1: HPC reports pre-order
4 transactions enable the CLEC to obtain
5 information necessary for the preparation of
6 orders and prevent delays when processing local
7 service requests.

8 Please describe the processing
9 delays that can be prevented by using pre-order
10 transactions.

11 Qwest provides its pre-ordering
12 overview, version 9.0, on its wholesale web
13 site. The overview describes how the pre-order
14 function prevents ordering transaction delays.

15 MR. CONNOLLY: Tim Connelly on
16 follow-up.

17 When I read your 12 A, in this
18 particular paragraph 2.1, business Process
19 Descriptions, you say what you say in that
20 paragraph. We will try to understand what you
21 mean by pre-order transactions, prevent delays
22 in processing.

23 MR. MAY: Could I give you an
24 example or two?

25 MR. CONNOLLY: However many it

1 takes.

2 MR. MAY: Okay. One example would
3 be an address validation which allows a CLEC to
4 verify that an address for its end-user matches
5 the address for the location within Qwest's
6 database.

7 If Qwest is unable to match the
8 CLEC's end-user address to a single service
9 address, the request may be rejected.

10 MR. CONNOLLY: So the reject
11 process --

12 MR. MAY: Would cause a delay.

13 MR. CONNOLLY: A delay avoidable by
14 having conducted that address validation?

15 MR. MAY: Correct. Want another
16 one?

17 MR. CONNOLLY: Sure.

18 MR. MAY: The CSR allows a CLEC to
19 view the service provided by Qwest. This helps
20 the CLEC to order the services its end-user
21 requests.

22 An example there would be the USOCs
23 may have the same function at the end-user's
24 premise, but because of the service provided,
25 the USOC may be different.

1 Further example would be a Centrex
2 product versus a POTS product.

3 MR. FINNEGAN: This is John Finnegan
4 again with a follow-up. The initial response
5 to this question, you referred us to the Qwest
6 web site. It sounds like, well, it's unclear.
7 Is this a statement where you are repeating an
8 assertion by Qwest?

9 MR. MAY: Yes.

10 MR. FINNEGAN: Or is this a
11 statement it was HP's experience in the test
12 that delays were prevented?

13 MR. MAY: Both.

14 Okay. AT&T 12 A Question 2: Please
15 indicate the types of transactions that are
16 "service Order Completions."

17 The service order completions, SOCs,
18 noted in HPC 12 A report and D report pertain
19 to the provisioning completion notifications
20 received via EDI 865 or the completion reports.

21 In response to a AT&T clarification
22 question regarding billing completion
23 notifications BCNs Qwest only provides BCNs via
24 the status update process.

25 AT&T number 3. HPC's iteration of

1 the pre-order transaction types is inconsistent
2 with KPMG's Table 12-1 and its report on test
3 cross-reference 12-2-1.

4 Which pre-order queries were
5 submitted to in Test 12.

6 HPC reviewed both sections and has
7 determined that the differences pertain to word
8 choices. HPC plans to update its report, Table
9 12 A-1.2, P-CLEC pre-order/order transactions
10 to include the acronym for each transaction
11 type. I think we had a question similar to
12 this where Joe (inaudible) gave a similar
13 explanation.

14 Question 4: HPC reports the address
15 validation function enables a CLEC to march a
16 customer address provided by the CLEC to an
17 address in Qwest's OSS.

18 Which Qwest OSS databases is queried
19 for address validation?

20 And given the black box nature of
21 the P-CLEC's activities we would defer this
22 question to KPMG for their experience or
23 knowledge in this area.

24 MR. DELLA TORRE: We believe the
25 answer to this is PREMIS, however, we would

1 defer to Qwest to confirm that belief.

2 MR. VIVEROS: Qwest confirms that.

3 MR. DELLA TORRE: For those on the
4 bridge Qwest did confirm that it is in fact
5 PREMIS.

6 MR. MAY: Question 5. Which Qwest
7 database or databases is queried for facility
8 availability.

9 Similarly we would defer to KPMG or
10 Qwest.

11 MR. DELLA TORRE: Again, we believe
12 that system is LFAX. However we will defer to
13 Qwest.

14 MR. VIVEROS: We agree.

15 MR. DELLA TORRE: They agree to that
16 as well.

17 MR. MAY: Question 6: For LSRs that
18 are rejected for invalid USOCs is the
19 determination of validity based on CLEC
20 contract and state criteria?

21 The answer is yes. HP's exception
22 2007 provides the details regarding the
23 P-CLEC's experiences with USOC processing.

24 Question 7: Please explain how the
25 unlimited IMA response provides any solution to

1 the fact that Qwest's systems limit the
2 responses to the first ten meet points in a
3 specified range.

4 The statements are quoted from
5 Qwest's documentation. The test only had four
6 meet points and never exceeded ten meet points.

7 Question --

8 MR. CONNOLLY: Excuse me, Geoff.
9 Can you tell me in Section 2.1.10, (inaudible)
10 query around which sentences should I put Qwest
11 quotation marks?

12 MR. MAY: I am informed that it
13 wasn't a direct quote, it was a paraphrase.

14 Question number 6. For LSR are that
15 are rejected for invalid -- I apologize.

16 Number 7.

17 Number 8. Sorry.

18 Please describe the Qwest OSS
19 interface that HPC used that enables CLECs to,
20 quote, dial up and log on to Qwest's ordering
21 systems from local computers, end quote.

22 The P-CLEC tested dial up access to
23 Qwest's IMA GUI system using secure ID tokens.

24 MR. CONNOLLY: So does that sentence
25 misstate the nature of the access to the

1 ordering systems? Did you say dial up into
2 IMA?

3 MR. MAY: GUI.

4 MR. CONNOLLY: IMA GUI and you don't
5 have access to Qwest's ordering systems without
6 going through the IMA GUI?

7 MR. MAY: That's correct, I believe.

8 MR. CONNOLLY: Then, I think, if you
9 take a look at the sentence, you will see how I
10 might be confused when you say that a CLEC can
11 dial up and log on to Qwest's ordering systems
12 from local computers --

13 MR. MAY: Oh, okay. I would accept
14 an edit on that statement. I follow. We will
15 modify that.

16 Okay. Question number 9. What is
17 the basis for HPC's report statement, quote,
18 "TELIS allows CLECs to electronically submit
19 access service requests to order
20 interconnection trunking and facilities between
21 it and Qwest."

22 The statement originates from
23 Qwest's web site. HPC did not process
24 transactions of this type as indicated in the
25 footnote of the report.

1 MR. CONNOLLY: So should we put that
2 statement in quotation marks representing a
3 direct quote from Qwest's web site?

4 MR. MAY: This also was a
5 paraphrase.

6 Question number 10: Please explain
7 HPC's statement, quote, EDI uses clearly
8 specified fields and formatting.

9 What is the method employed by Qwest
10 IMA EDI to make these clear?

11 The standards for EDI that are
12 developed by the American National Standards
13 Institute's Accredited Standards Committee X-12
14 clearly and explicitly defines location,
15 repetition, format and content of each data
16 element in the standard.

17 Qwest's IMA EDI implementation
18 builds upon these standards and industry
19 guidelines developed by the Telecommunications
20 Industry Forum.

21 MR. CONNOLLY: Excuse me. So
22 Qwest's guidelines are as clear as the industry
23 guidelines?

24 MR. MAY: Yes.

25 MR. CONNOLLY: Thanks.

1 MR. MAY: Question number 11:
2 Please explain the HPC statement IMA GUI does
3 not require the CLEC to develop its own
4 interface.

5 Qwest's IMA GUI system allows CLECs
6 to perform pre-order, order, and post-order
7 functions using a Qwest developed application.
8 A CLEC can obtain and install the publicly
9 available software to access Qwest's IMA GUI
10 system.

11 Access is provided via several
12 communication paths, hence IMA GUI does not
13 require a CLEC to develop its own interface.

14 MR. CONNOLLY: Are you excluding
15 these Telecom requirements from your
16 determination or definition of interface?

17 MR. MAY: Are you talking about
18 entrance facilities?

19 MR. CONNOLLY: What I heard you say
20 was a CLEC has a choice of telecommunication
21 arrangements with which to connect through this
22 interface.

23 MR. MAY: For example, phone line.

24 MR. CONNOLLY: Phone line, T-1,
25 whatever. You said that there were several.

1 What I am trying to understand is,
2 do you consider that not part of the interface?

3 MR. MAY: That's correct, we are
4 excluding it from the interface.

5 MR. CONNOLLY: Absent those Telecom
6 facilities, is there any way for this interface
7 to connect to Qwest?

8 MR. MAY: No.

9 MR. CONNOLLY: I am just trying to
10 understand what their terminology is here.

11 MR. CRAIN: Can I get a
12 clarification?

13 You are asking whether or not the
14 interface connects with Qwest, or the interface
15 would then be connected to the CLEC?

16 MR. MAY: I guess the statement -- I
17 am sorry.

18 MR. CRAIN: And Tim, are you talking
19 about the telecommunications requirements
20 between interface and CLEC or between part of
21 the interface and Qwest?

22 MR. CONNOLLY: I'm trying to
23 understand HP's statement --

24 MR. CRAIN: I don't understand your
25 question.

1 MR. CONNOLLY: Since I am asking HP
2 the question, with all due respect, it's more
3 important for them to understand my question.
4 The answer we can probably address in Andy's
5 question.

6 MS. ANDERSON: Could I maybe
7 interrupt here. I think, please correct me if
8 I am wrong, I think what you were trying to say
9 is there is no software application development
10 required for the CLEC to connect to that. Yes,
11 they do have to order a phone line and might
12 have to get a T-1 or whatever, but I think it's
13 the application development that they were
14 getting at.

15 MR. MAY: We would concur with that
16 explanation.

17 MR. CONNOLLY: That would be the
18 sort of language modification we might see in
19 this report to straighten this out?

20 MR. MAY: We can take that back,
21 take a close look at that, see if we can make
22 that more clear.

23 MR. CONNOLLY: Thanks.

24 MR. MAY: Okay.

25 Question 12: Please explain the

1 methods and means the loss and completion
2 reports are provided to CLECs that provide
3 Qwest with manual orders via fax.

4 Loss and completion reports are
5 available to CLECs via facsimile, and then
6 there are electronic transfer options which
7 include MDM, a dedicated circuit, MDM dial up
8 and the web.

9 The Qwest web site provides
10 additional information.

11 Question 13: Please confirm the
12 that the term normal order flow and its
13 explanation in this section is the same as that
14 used by Qwest and is provided to CLECs in the
15 IMA EDI implementation guidelines.

16 Confirmed. The term, quote, "normal
17 order flow," end quote, and its explanation is
18 an HPC paraphrase of the explanation provided
19 in the Qwest IMA 8.0 disclosure, Appendix I,
20 generic order flow business model.

21 MR. CONNOLLY: When I looked at that
22 web site I saw the words normal order flow. Is
23 that what it says?

24 MR. MAY: Same term, yes. We are
25 confirming, the question asks us to confirm,

1 and we are confirming. We are agreeing.

2 MR. CONNOLLY: You agreed, but you
3 said your term is a paraphrasing of the Qwest
4 term. I read the Qwest term to be normal order
5 flow.

6 MR. MAY: It's the explanation, not
7 the term normal order flow, that is a
8 paraphrase.

9 MR. CONNOLLY: So normal doesn't
10 mean normal as you experienced it, normal means
11 whatever Qwest means by normal?

12 MR. MAY: Correct.

13 MR. CONNOLLY: Thanks.

14 MR. MAY: Question number 14:
15 Please confirm that the term, quote, "exception
16 order flow," end quote, and its explanation in
17 this section is the same as that used by Qwest
18 and is provided to CLECs in the IMA and EDI
19 implementation guidelines.

20 Similarly confirmed. Again,
21 Appendix I, generic order flow, business model
22 of the IMA 8.0 disclosure document.

23 MR. FINNEGAN: John Finnegan. A
24 quick follow-up question.

25 In that chart is there any reason

1 why the 997 functional acknowledgments were not
2 on the chart? It did appear on the normal
3 order flow chart but they did not on the
4 exception or supplemental. Figure 12 A-1.2 and
5 12 A-1.3.

6 MR. WEEKS: Wendie has a comment or
7 question.

8 MS. ALLSTOT: Wendie Allstot,
9 Colorado.

10 I actually pulled that off of
11 Qwest's web site, because I had some questions
12 as to what HP had in its report. That is not
13 included on the web site diagram.

14 MR. MAY: We concur with that.
15 That's correct. Thank you, Wendie.

16 Question 15: Please provide the
17 basis of HPC's knowledge of quote, "Central
18 Office embargoes," end quote, and processing
19 methods used by Qwest under these
20 circumstances.

21 This statement is quoted from Qwest
22 IMA EDI disclosure documentation. The P-CLEC
23 did not experience any CO embargoes during the
24 test.

25 Question number 16: Please describe

1 the disposition of LSRs received by Qwest when
2 it imposes a central office embargo.

3 Again, this statement is quoted from
4 Qwest's IMA EDI disclosure documentation and
5 P-CLEC did not experience any CO embargoes
6 during the test.

7 Question 17 --

8 MR. CONNOLLY: Geoff, the question
9 was, if you know, if an order is issued, an LSR
10 is issued during a Central Office embargo, do
11 you know what happens to it?

12 MR. MAY: The P-CLEC has no
13 experience with the Central Office embargo.

14 MR. CONNOLLY: Sounds like I don't
15 know.

16 MS. ANDERSON: Is it something Qwest
17 could quickly answer?

18 MS. KING: Beth King with Qwest.

19 If you have a Central Office embargo
20 you would get a reject on your order. That is
21 explained on the Qwest web site.

22 MS. ANDERSON: Thanks.

23 MR. MAY: Question 17: Please
24 describe the processing of retail orders
25 submitted by Qwest representatives during a

1 Central Office embargo.

2 The answer is the same. We don't
3 know.

4 MR. FINNEGAN: Did you identify your
5 last name?

6 MS. KING: It's King.

7 MR. FINNEGAN: I am sorry.

8 MR. CONNOLLY: Does Qwest have an
9 answer to 17, please?

10 MR. MAY: Please describe the
11 processing of retail orders submitted by Qwest
12 representatives during a Central Office
13 embargo.

14 MR. VIVEROS: In a retail
15 environment, since the customer is not
16 submitting a request, there is an equivalent
17 reject.

18 Basically with the end-user customer
19 on the phone the service rep would explain they
20 could not have service because that particular
21 central office doesn't have the availability to
22 make changes.

23 My understanding is that we would,
24 depending on the type of embargo it was,
25 certainly, in the case where we are talking

1 about a CO embargo associated with the sale of
2 the CO, I believe time frames are communicated
3 to the customer so the customer can get service
4 after the embargo is completed.

5 MR. MAY: Question 18: Please
6 explain the reasons in the case of a manually
7 generated fatal error that a CLEC cannot submit
8 a corrected LSR with a new PON and it must,
9 quote, "submit a corrected LSR with the
10 original PON and an incremental version
11 number," end quote.

12 The term exception (inaudible) and
13 its explanation is a (inaudible) paraphrase of
14 the explanation provided in the Qwest IMA 8.0
15 disclosure Appendix I, generic order flow
16 business model.

17 We would defer that one to Qwest as
18 well.

19 MR. CONNOLLY: Well, in your, in
20 this paragraph on my page 12-A6 the last
21 sentence of the second full paragraph on that
22 page says, manually generated fatal errors
23 require that the CLEC submit a corrected LSR
24 with the original PON and an incremented
25 version of it.

1 Are you saying that is not your,
2 HP's, understanding, but it's Qwest's
3 understanding, or Qwest's statement that you
4 paraphrased?

5 MR. MAY: This is a paraphrase of
6 information on Qwest's web site. In the
7 disclosure documentation. I apologize.

8 MR. CONNOLLY: Chris, would you know
9 the answer to that, AT&T's question 18.

10 MR. VIVEROS: The issue really has
11 to do with how the LSR has been recorded and
12 stored in our databases. Where the system has
13 mechanically detected an error, rejected it
14 back to the CLEC -- we would expect that the
15 CLEC would use the same PON.

16 But they certainly have the option
17 of using a brand new purchase order number.

18 The original PON in our database
19 would be in a state of a final disposition if
20 it was fatally rejected by our system.

21 In the case of a manually generated
22 fatal error that LSR has passed through our
23 systems, been accepted and registered as a live
24 LSR in our databases.

25 And then our service center has done

1 further validation, found an error, generated a
2 reject message.

3 Although we have updated the status
4 to reflect it was rejected, it's now sitting in
5 our databases and our strong preference is that
6 the CLEC use the same purchase order number so
7 that in fact there is a complete audit trail.

8 We obviously couldn't stop a CLEC
9 from sending in a separate order with a
10 different PON. As long as it was valid we
11 would process it.

12 MR. CONNOLLY: I guess what I am
13 understanding is that you pretty much agree
14 with HP's paraphrase, but it's not a
15 hundred percent?

16 MR. VIVEROS: Yes. We agree with
17 the paraphrase, that is reflective of what our
18 document says and the documentation on the web
19 site reflects our attempt to ensure that we
20 have got a complete and accurate audit trail
21 when in fact there is a situation where there
22 is a manually generated fatal reject.

23 MR. MAY: Okay. Question number 19:
24 Please explain whether the remarks containing
25 the ISC representative's correction to a

1 non-fatal error are provided automatically by
2 Qwest, by the Qwest system or whether they are
3 manually entered by the ISC representative.

4 And, you know, due to the black box
5 nature of the P-CLEC's activities we refer this
6 to KPMG.

7 MR. DELLA TORRE: And it is our
8 understanding that these comments are typed in
9 manually by the representative. However, we
10 would defer to Qwest for confirmation.

11 Mr. Viveros?

12 MR. VIVEROS: I apologize. Would
13 you repeat that, Joe?

14 MR. DELLA TORRE: Sure. The
15 question is whether the remarks are typed in by
16 an ISC manually or whether they are
17 automatically entered for fatal errors, or
18 non-fatal, my apologies.

19 MR. VIVEROS: All right.

20 MR. DELLA TORRE: And our
21 understanding is that those are typed in
22 manually by the rep for non-fatal error.

23 MR. VIVEROS: That is correct.

24 MR. MAY: Question 20: Please
25 confirm that the term, "supplemental order

1 flow" and its explanation in this section is
2 the same as that used by Qwest and is provided
3 to CLECs in the IMA EDI implementation
4 guidelines.

5 The term supplemental order flow and
6 its explanation is an HPC paraphrase of the
7 Qwest definition provided in the IMA 8.0
8 disclosure Appendix I generic order flow
9 business model.

10 Question 21: Please identify
11 materials received by the P-CLEC from Qwest
12 during the course of its Test 12 work that were
13 received in paper form, or on computer files
14 that P-CLEC did not download from the Qwest's,
15 from Qwest's web site.

16 Please explain the methods employed
17 by HPC to verify that each of the materials are
18 available to all CLECs.

19 The P-CLEC received several types of
20 materials directly directly from Qwest
21 account -- the Qwest account management team
22 members or designated Qwest representatives
23 including billing account numbers,
24 interconnection agreements, directory listing,
25 verification proofs, escalation lists, USOC

1 lists, communicators and/or notifications,
2 digital certificates, monthly performance
3 reports and responses to escalations or issues.

4 The P-CLEC always asked Qwest to
5 verify that the material provided was available
6 to any and all CLECs. Qwest always indicated
7 that any CLEC could obtain these materials.

8 Beyond that or however, due to the
9 black box nature of the P-CLEC test, HPC could
10 not verify this assumption.

11 Again, we would defer to KPMG if
12 they have any experience or knowledge in this
13 area.

14 MR. WEEKS: The answer is what Qwest
15 does or does not make available to other CLECs
16 other than what Qwest affirms to you that they
17 don't --

18 How can we read this last sentence
19 in that paragraph?

20 MR. MAY: We will revise that
21 sentence to read to state what I said in my
22 answer. We don't have any information that
23 would contradict what HPC said.

24 MR. CONNOLLY: Geoff, since you said
25 you don't know about what Qwest does or does

1 not make available to other CLECs other than
2 what Qwest affirmed to you that they don't, how
3 can we read this last sentence in that
4 paragraph?

5 I think you said you don't know that
6 Qwest does not make other information available
7 to other CLECs by the nature of the black box
8 testing.

9 This is the last sentence in the
10 paragraph that follows table 12 A-1.2.

11 MR. MAY: We will revise that
12 sentence to read, to state what I stated in my
13 answer, which was that -- describe, that we
14 asked Qwest and they told us. And beyond that
15 we can't verify.

16 Question 22: Identify which tests
17 were concluded -- which were conducted with
18 the 35,780 pre-order transaction responses
19 received by the P-CLEC.

20 P-CLEC submitted the 35,780
21 pre-order transactions in support of Test 12.
22 And test bed validation and verification to the
23 best of HP's knowledge.

24 Question --

25 MR. CONNOLLY: Do these include the

1 system availability pings?

2 MR. MAY: No.

3 Question number 23: HPC reports
4 that it identified issues with the completeness
5 of responses.

6 Notwithstanding the lists of
7 observations and exceptions, was the P-CLEC
8 evaluating the extent to which Qwest provided a
9 complete response to each query?

10 Did the P-CLEC determine that Qwest
11 provided a response to each query?

12 The P-CLEC reviewed the Qwest
13 responses to these types of orders and open
14 exceptions or observations if the response was
15 incomplete.

16 So I guess the answer is yes.

17 Moving to --

18 MS. ANDERSON: I am thinking that
19 unless there is any additional follow-up
20 questions that we take our lunch break now,
21 because we still have the WorldCom stuff to go
22 through for this section.

23 While we are out, they are going to
24 be working on the air conditioning. Absent
25 that, we will have fans when we come back. So

1 something new every time we let you out of the
2 room.

3 We'll reconvene as the agenda says
4 at 12:15 -- I am sorry. 1:15.

5 And you can go one block down to the
6 mall okay, 1:15. Thanks.

7 (Recessed at 12 o'clock noon to
8 reconvene at 1:15 p.m.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON PROCEEDINGS

2 MS. ANDERSON: Okay, folks.

3 MR. DELLA TORRE: All right, folks. We're
4 going to look to get started, if everyone can take
5 their seats.

6 MS. ANDERSON: We had a couple of
7 questions regarding the stopping payment attachment,
8 and then we intend to continue through until we finish
9 the questions on the agenda today, because tomorrow
10 we'll have a full day, and then we'll be breaking at
11 three for other things. So, we're here for the
12 duration.

13 FROM THE AUDIENCE: I wonder if the court
14 reporter is just finding that out now.

15 MS. ANDERSON: That's why they've got two
16 or three of them, I guess.

17 With WorldCom not here -- here she is.
18 Never mind. Ready to roll?

19 MR. MAY: Tim, you indicated that you had
20 some follow-up questions, AT&T would, on 12A.

21 MR. CONNOLLY: Yes, sir, Geoff, I do, on
22 12A. If I could ask you to turn your attention to Test
23 Cross Reference 12-2-1, and your evaluation criteria
24 is, Qwest provides complete responses to CLEC preorder
25 transactions. Correct me if I am wrong, you

1 established your expectations about what is a complete
2 response, based on Qwest's documentation on their
3 Website, and perhaps other Qwest documentation on the
4 Website, what that told you to expect; is that correct?

5 MR. MAY: Yes.

6 MR. CONNOLLY: So, as we look at, for
7 example, the preorder queries that are in the preorder
8 transaction processing section, 2.1.1, for each one of
9 those types of queries, did you establish a set of
10 expected fields, and the responses that you got, you
11 evaluated with the responses that you received against
12 that, the criteria for each of those?

13 MR. MAY: Yes, sir.

14 MR. CONNOLLY: Did you establish a set of
15 volume expectations where you said -- where you needed
16 to have a certain number of each of those types of
17 preorder query responses to establish that their --
18 Qwest's response was complete?

19 MR. MAY: No. It was a functional
20 evaluation. So the answer is, no. It was a functional
21 evaluation.

22 MR. CONNOLLY: So, if you saw responses
23 that didn't comport with your expectations --

24 MR. MAY: We would issue --

25 MR. CONNOLLY: -- an observation or

1 exception?

2 MR. MAY: Correct.

3 MR. CONNOLLY: In those cases, where you
4 had some that were within expectations for a particular
5 query type, and others that were not, did that result
6 in an observation or an exception?

7 MS. MAY: Yes.

8 MR. CONNOLLY: So, in all cases that your
9 expectations were not satisfied, if you will, that
10 would have resulted in an observation or an exception?

11 MR. MAY: Yes.

12 MR. CONNOLLY: Is that true, also, for
13 Evaluation Criteria 12-3-1, where the subject is
14 complete responses for CLEC resale order and post-order
15 transactions.

16 MR. MAY: Yes.

17 MR. CONNOLLY: The comment in 12-3-1
18 isn't very clear as to how your findings support that
19 evaluation criteria. It reads, in part, "The CLEC used
20 Qwest-provided training and documentation to complete
21 IMA EDI, IMA GUI, and maybe order and post-order
22 transactions for resale products." Is that -- how
23 should I understand that comment, relative to your
24 evaluation work?

25 MR. MAY: Well, the nature of our

1 evaluation work would be to issue observations and
2 exceptions, where the results did not meet the
3 expectations, as we understood them, from Qwest's
4 wholesale documentation.

5 MR. CONNOLLY: Could you walk us through
6 what your evaluation -- let's take a resale migration
7 order. How did you evaluate that that worked?

8 MR. MAY: We evaluate the responses,
9 based on our understanding of what is supposed to
10 happen, pursuant to Qwest's documentation. We were
11 expecting a FOC. Did we get a FOC? Did it have a due
12 date that we were expecting?

13 MR. CONNOLLY: The test transaction that
14 KPMG provided you in this particular example, did that
15 have any expectations attached to it?

16 MR. MAY: Yes, the instances had
17 expectations.

18 MR. CONNOLLY: So, it's a combination of
19 evaluation -- did those expectations that are in the
20 transaction you received from KPMG Consulting, was that
21 also part of your evaluation criteria?

22 MR. MAY: Yes. Unspecified responses, in
23 that case, would also generate an observation or an
24 exception. It's possible that KPMG may have issued an
25 observation and exception, based on the results, as

1 matched against their expectations as well.

2 MR. WEEKS: When we designed a test case,
3 we communicated, at the time we defined that test case,
4 whether we expected it to flow-through normally into
5 work; or we would, at the design of the test case, say
6 this is something that we're trying to build in an
7 error or problem or an issue. And, so, you should find
8 a problem when you go to do this, or not. So, that's
9 the sense in which we communicated an expectation. It
10 was the expected outcome, given that, if it's a
11 properly formatted order, you get a properly formatted
12 FOC back.

13 MR. CONNOLLY: In the case that KPMG
14 handled HP transactions, we expected a reject out of
15 this. If it didn't reject, who wrote the observation
16 or exception?

17 MR. MAY: Generally speaking, it would be
18 HPC, unless, through our parallel process, we
19 determined that it may have been a test bed issue, or
20 some sort of an artifact of the test account
21 infrastructure. Then KPMG would pursue that with
22 Qwest.

23 MR. WEEKS: Tim, in general, I think the
24 method we used to operate was that we would give
25 direction to HPC as to how they should proceed if they

1 found problems with individual orders or individual
2 instances or individual responses, things that -- where
3 it appeared that the way the system operated, or the
4 way the order got processed, or the way the response
5 was formulated, didn't appear to agree with what they
6 understood from the business rules and documentation
7 issue, kind of at that instance level. They would work
8 that, and in the way that a normal CLEC would, through
9 the Help Desk, and alike.

10 If it was determined, as a result of sort
11 of working through the normal CLEC processes, that it
12 looked like they found an error in documentation, or it
13 looked like they found a place in the system where it
14 didn't appear to be working right, they would write an
15 O or an E, based upon what they believed the problem
16 was. That would go through the O&E process that we're
17 all familiar with, which KPMG Consulting tended to look
18 at the Os and Es. We were tending to be looking across
19 groups or populations of orders as opposed to
20 individual orders.

21 MR. CONNELLY: Right. I understood that
22 sort of layering, if you will, of evaluation. But, was
23 there any other set of inputs to HP that guided you on
24 preparing your expectations for preorder and order and
25 repair and maintenance?

1 MR. MAY: No.

2 MR. CONNOLLY: So, it was the Qwest
3 documentation and anything that came across for a
4 particular test case/instance?

5 MR. MAY: Correct. Correct. Hang on one
6 second. The only other one we can think of would be
7 where HP, as other CLECs are capable of doing, would
8 have a Subject Matter Expert type of meeting with Qwest
9 and would provide some sort of a guidance, sort of,
10 through an account management process.

11 MR. CONNOLLY: In terms of this earlier
12 test case, 12 -- or 12 -- Test Cross Reference 12-2-1,
13 for completeness, is that it would seem to me that --
14 correct me if I am wrong -- that the preponderance of
15 the definition of what's complete would come from
16 Qwest's Website documentation?

17 MR. MAY: Correct. I mean,
18 notwithstanding the fact that we're running a test, and
19 the test cases are issued to us by the test
20 administrator, and they are testing for certain
21 outcomes. I am not sure you can separate the two.
22 They both apply.

23 MR. CONNOLLY: Now, how about evaluation
24 criteria in any of the 12-1 through 12-7, that deals
25 with the accuracy of the responses that you received

1 from submitting preorder queries or orders?

2 MR. MAY: I am sorry. What's the
3 question?

4 MR. CONNOLLY: In any of the test
5 cross-references, 12-1 through 12-7, and their
6 subordinate numbers, which of those involved sort of
7 test evaluation criteria of accuracy in the responses
8 of the preorder queries, accuracy in the responses of
9 the preorder confirmations and rejects?

10 MS. ANDERSON: This is Denice Anderson of
11 MTG. Are you talking about 12. -- 12-1-2 in terms of
12 your talking about the criteria themselves, which ones
13 included accuracy?

14 MR. CONNOLLY: Yes.

15 MR. WEEKS: So, we're running through the
16 table and finding where we say "accuracy."

17 MS. ANDERSON: In the table, it says
18 accuracy, 12-2.2, 12-2.3 --

19 MR. MAY: The first one we identified is
20 12-2.2.

21 MR. CONNOLLY: All of those.

22 MR. MAY: Apparently, everyone that ends
23 in a -2.

24 MR. CONNOLLY: Those seemed to me, as I
25 look through them, to relate to error messages. I was

1 asking about the preorder queries that you received
2 responses for. Which of these did you consider the
3 accuracy of the response? 12-2.3?

4 MR. MAY: Okay. I think we're getting to
5 a, perhaps, revised table for those test
6 cross-references that end in a -1, 2, added the word
7 "accuracy" in addition to completeness, or in addition
8 to, "complete."

9 MR. CONNOLLY: Are you going to go back
10 and do an analysis on accuracy?

11 MR. PETRY: It was done there.

12 MR. MAY: It was done there. The report
13 is not clear that that's where we measured the accuracy
14 for the -1s in the table.

15 MR. CONNOLLY: How about the evaluation
16 criteria for the timeliness of a response relative to
17 the pseudoCLEC work, not relative to PIDs or other
18 sorts of measurements?

19 MR. CRAIN: What do you mean, timeliness
20 outside of PIDs?

21 MR. CONNOLLY: Well, in the preparation
22 of an order, where there's a step that says, pull a
23 CSR, do a TN query, do a facilities check. If you
24 didn't get the TN response, when you wanted it, did you
25 have to do something else?

1 MR. MAY: That's just out of scope for
2 HP. It was there, only if we never received a response
3 whatsoever. We weren't evaluating the time on this.
4 That was another part of the overall test.

5 MR. WEEKS: We didn't make, into the
6 design of the test cases, an expectation of how long it
7 should take to get a particular response. We, as Geoff
8 has indicated, that's analyzed across a universe of
9 orders, what the average response time was, but we set
10 no expectations for Hewlett Packard, in the definition
11 of the test case, about how long they should expect to
12 wait before they received any particular response to
13 any particular query or any particular Os or Es or
14 anything else.

15 MR. CONNOLLY: So, in the case where you
16 submitted a preorder query, you didn't get a
17 response --

18 MR. MAY: We would issue an observation.
19 We would escalate through normal channels.

20 MR. CONNOLLY: If you issued an order and
21 you didn't get an FOC --

22 MR. MAY: Help Desk, and then,
23 ultimately --

24 MR. CONNOLLY: Help Desk and --

25 MR. MAY: Observation or exception.

1 MR. CONNOLLY: Is it true that there is
2 documentation on the Qwest Website, by which you built
3 your expectations, that says you should get a response
4 for each one of these transactions? Is that just sort
5 of in the EDI world?

6 MR. MAY: You're talking about
7 functionally?

8 MR. CONNOLLY: Yes.

9 MR. MAY: Yes, yes.

10 MR. CONNOLLY: For both GUI and EDI.

11 MR. MAY: A question as to whether we
12 mechanically receive the response. We are not
13 measuring the response times. I think we covered that.

14 MR. CONNOLLY: I understand the response
15 time issue.

16 MR. MAY: As far as the response times,
17 the PIDs were the source of expectations,
18 notwithstanding the fact that HP did not -- it was
19 outside of our scope to measure the results for time
20 lengths. But the PIDs were the source of the
21 functional expectations.

22 MR. CONNOLLY: The performance
23 expectations?

24 MR. MAY: Yes.

25 MR. CONNOLLY: Not the functional

1 expectation?

2 MS. MAY: Correct. Sorry.

3 MR. CONNOLLY: That's okay. By all
4 means. One question more. On -- if you look at
5 paragraph 2, it says, "Method."

6 MR. PETRY: Where?

7 MR. CONNOLLY: In your report, 12A,
8 paragraph 2.0, method.

9 MR. PETRY: Okay. I am sorry. I thought
10 you meant this paragraph 2. 2.0.

11 MR. CONNOLLY: "This section summarizes
12 the test execution method." The business process
13 description seems to relate to what CLECs do sort of in
14 general, but not necessarily what HP did in its role as
15 the P-CLEC. Do you agree with that?

16 MR. MAY: We performed them as a CLEC.
17 We're describing the general CLEC process.

18 MR. CONNOLLY: And in the subordinate
19 sections of 2.1, that deal with the various processing
20 and query types and interface options, and so forth,
21 those are sort of general information about what a CLEC
22 would expect in terms of the operation performance of
23 these interfaces?

24 MR. MAY: Correct.

25 MR. CONNOLLY: But it's not a statement

1 that HP went through and did every one of these things
2 this way?

3 MS. ANDERSON: Tim, Tim, is your
4 question -- I am just trying to understand. This is
5 Denice Anderson. Is your question, do you want to know
6 whether, where it says, "CLECs," it should say
7 "pseudoCLEC"? Is that a suggestion or what is the -- I
8 am confused about the nature of the question.

9 MR. CONNOLLY: What I believe this to be
10 is an explanation of, you know, the interfaces, sort of
11 generally. It's not a statement by HP, this is the way
12 I understand every one of these things to function.
13 It's not an -- I don't think it's -- I don't understand
14 it to be a statement by HP of, this is the way I
15 executed this test.

16 MS. ANDERSON: So, Geoff and Don, is the
17 implication there that that's how you did it? This
18 just says "CLEC" instead of "pseudoCLEC"?

19 MR. MAY: Well, as a primary matter, our
20 interim report would describe what functionality this
21 CLEC established. And, in the first instance, the MTP
22 establishes what's within the scope of the test, from a
23 transaction test case and test instance perspective.

24 I think, Tim, you are asking, what have
25 we got here? Is it what we did, the steps that we

1 took, or is this a description of the business process?
2 And I would say this is a description of the business
3 process, not necessarily that the P-CLEC performed
4 every single one of those transactions.

5 MR. CONNOLLY: So, that's what I thought.

6 MR. MAY: Okay.

7 MS. ANDERSON: Can we move onto the next
8 question now? I am just mindful of the time, and
9 unless there's something of import here, could we move
10 along?

11 MR. MAY: Anything else, Tim?

12 MR. CONNOLLY: That's all. Thanks.

13 MR. MAY: We're moving on now to
14 WorldCom's 12A questions, beginning with WorldCom
15 Question 1: Why are work completion notifications and
16 bill completion notifications excluded from the
17 post-order phase?

18 This question was answered in AT&T No. 2,
19 HP's response to AT&T No. 2. And Question No. 2 --

20 MS. OLIVER: Excuse me. Becky Oliver
21 with WorldCom. Just to clarify on Question 1. Work
22 completion notifications are SOCs which were received.
23 Billing completion notifications were received for the
24 EDI interface, but not the GUI.

25 MR. MAY: Correct.

1 MS. OLIVER: Thanks.

2 MR. MAY: You are welcome. Then WorldCom
3 2 was answered in AT&T No. 4, HP's AT&T No. 4 on 12A.

4 Question 3: To what extent must an
5 address match Qwest's OSS to prevent a rejected order?
6 P-CLEC's understanding is that an exact address match
7 on a LSR is required.

8 MS. OLIVER: Becky Oliver, WorldCom. Is
9 that also the experience that the P-CLEC had?

10 MR. MAY: Yes.

11 MS. OLIVER: Thank you.

12 MR. MAY: WorldCom 4: For what type of
13 end customers are CSRs available to be queried by
14 CLECs? For example, Qwest retail customers, CLEC
15 resale customers, CLEC UNE-P customers, et cetera.
16 During the course of the test the P-CLEC conducted, the
17 CSR requests for Qwest retail, CLEC UNE-P, CLEC resale
18 and CLEC UNE accounts.

19 Question 5: Does Qwest's CFA validation
20 tool provide CFA availability information at the DSL
21 level? In response to a HP request for clarification,
22 WorldCom indicated that it was specifically interested
23 in, quote, if a DSL riding a higher capacity facility
24 can be validated. HP defers to KPMG.

25 MR. DELLA TORRE: Our understanding is

1 that the answer is, yes, but we would defer to Qwest
2 for confirmation.

3 MR. VIVEROS: Chris Viveros from Qwest.
4 We would agree that both -- in the original statement
5 of the question, that the CFA verification tool, from a
6 preorder standpoint, is available at the DS0 level.
7 The tool is designed, not for the purposes as described
8 in the WorldCom clarification, but you can certainly
9 use the tool to see that, in fact, a particular DS0
10 slide on the DS1 was occupied and in-service.

11 MR. MAY: Question 6: Are business
12 rule/BPL fatal errors system or manually generated? It
13 is the P-CLEC's understanding that Qwest systematically
14 generates BPL errors. Qwest systematically or manually
15 generates fatal errors.

16 Question 7 --

17 MS. OLIVER: Becky Oliver, WorldCom.
18 Clarification on the response to No. 6. You said that
19 business rule errors are systematically generated?

20 MR. MAY: BPL errors.

21 MS. OLIVER: Okay. Then you said fatal
22 errors are either manually or systematically generated.
23 And are any fatal errors considered business or BPL
24 errors?

25 MR. MAY: Yes. There are circumstances

1 which we describe.

2 MS. OLIVER: So, all of those fatal
3 business/BPL errors would be systematically generated?

4 MR. MAY: The answer to the question is,
5 no. In other words, not necessarily, I guess.

6 MS. OLIVER: So, just to clarify, then,
7 the original answer is being modified to say -- the
8 question reads, "Are business rule/BPL errors system or
9 manually generated?" The answer is both. Is that what
10 I am understanding?

11 MR. PETRY: Can we -- Don Petry, HP. Can
12 we get some clarification? You're using BPL and fatal
13 error side by side. It is the P-CLEC's understanding
14 that there is a BPL, or Business Process Layer, that,
15 when an order comes in, it first goes through the BPL,
16 and there are upfront edits. If it fails one of those
17 edits, a BPL error is systematically generated back.
18 If it clears that front, and at the BPL layer, the
19 order can then go -- continue to flow into Qwest's
20 systems, but there may be Legacy or back-end systems
21 that can trigger a fatal reject coming back to you,
22 even though you made it through the front BPL layer.
23 There may still be some edits in a Legacy or back-end
24 system that can trigger a fatal error.

25 Additionally, a Qwest service

1 representative, while processing a service order, can
2 go ahead and generate a fatal or a nonfatal error on an
3 order. So, that is why the comment about
4 systematically fatal errors can be generated either
5 systematically or manually. Does that answer the
6 questions, Chris, or Beth? Would you care to comment
7 or confirm?

8 MR. VIVEROS: This is Chris Viveros for
9 Qwest, and we generally agree with Don's explanation.
10 There may be some nuances that are slightly different,
11 but that Don wouldn't be aware of, given the fact that
12 they did the black box test.

13 I think the important issue here is that
14 we talked about this in Santa Fe. We do have a
15 Business Process Layer that performs validation and can
16 detect errors. Depending on the severity of the error,
17 that could get fatally -- that could be rejected back
18 to the CLEC. A reject notice would be generated
19 mechanically. It might continue through processing and
20 have a human-evaluated, and the service representative
21 would make a determination, based on the type of error,
22 whether or not a nonfatal reject message should go
23 back, or whether there's more information that they can
24 get to reconcile the order and continue processing.

25 Where the service representative

1 determines that the error is severe enough to be
2 rejected, they would manually initiate that reject back
3 to the CLEC.

4 MR. WEEKS: Chris, in that case would
5 that be considered a BPL layer error?

6 MR. VIVEROS: We don't classify our
7 errors that way. It's an error, depending on the type
8 of error, severity, and our ability, with the resources
9 available to us, to reconcile it either as a nonfatal
10 or a fatal. If it's fatal, then it will generate a
11 reject back.

12 MR. DELLA TORRE: I think an important
13 distinction that's often lost is the difference between
14 errors and rejects. And an error is something wrong
15 with the order. A reject is a response type that goes
16 back to the CLEC.

17 MR. MAY: Question 7: Why can
18 system-generated errors be corrected with either a new
19 LSR or a supplement order, whereas a manually generated
20 errors must be corrected using a supp?

21 MS. OLIVER: I am sorry. I am sorry to
22 interrupt. I just don't want to lose the train, and I
23 had a thought there. I just had one more follow-up,
24 related to the question about, okay, it's past the BPL
25 edit layer. And, at this point, now, it's going

1 through -- the order is going through some additional
2 checks, either by another system or a rep. And at that
3 review period, could the -- one of the reasons that an
4 order would be rejected be due to business rules,
5 because that's what I am trying to get an understanding
6 of.

7 At what point, in Qwest's order
8 processing, would the CLEC be able to say, my order was
9 submitted and successfully met all of the required
10 business rules. It's passed the original BPL edit, but
11 it has to go to this additional step. Is that correct?

12 MR. VIVEROS: Chris Viveros for Qwest.
13 Yes, I believe that is correct. There are errors that
14 are detected, beyond the Business Process Layer
15 executing the validations, that would be, quote,
16 unquote, a business rule violation, that would result
17 in a reject back to the CLEC.

18 MR. WEEKS: Mike Weeks. Is it fair to
19 say, if I had received a FOC, that there are no errors
20 in the LSR?

21 MR. VIVEROS: I think it would be fair
22 for you to say that, yes.

23 MS. ANDERSON: Perhaps it's a -- if a SOC
24 was received.

25 MR. WEEKS: That was my first answer.

1 You can actually get a reject after FOC, is my point.

2 MR. DELLA TORRE: Typically not from an
3 LSR.

4 MR. VIVEROS: That's true. At one point
5 in time in the -- at one point in time, that situation
6 was experienced during the test. Since then, we have
7 worked through the Change Management Process, and we
8 have changed the circumstances where that would occur,
9 but I do think it's fair to say that, if you got a FOC,
10 under most normal circumstances, there's no errors on
11 that LSR. We're going to be able to successfully
12 provide the service that you request.

13 MR. MAY: Okay. Question No. 7. I
14 believe I have read the question I believe it's been
15 answered in AT&T question No. 14, which Chris Viveros
16 provided some clarification on.

17 WorldCom 8: Under what circumstances
18 would a nonfatal error be generated after a FOC? HP's
19 understanding is that Qwest could generate a nonfatal
20 error, if an error was detected after the service order
21 was created.

22 MR. VIVEROS: This is Chris Viveros from
23 Qwest. And I think it's accurate to say that that's
24 what HP experienced during a good portion of the test,
25 as I referenced a moment ago. That process of using

1 nonfatal errors post-FOC to communicate undetected
2 errors has been modified through the negotiations with
3 the CLECs in the Change Management Process. If we
4 detect errors after having generated a FOC, Qwest's
5 current business process is to issue a jeopardy.

6 MS. OLIVER: Thank you.

7 MR. MAY: Question No. 9: Verify that
8 HP, acting as the P-CLEC, discontinued tracking of the
9 LSR after a SOC was received, such that any WCN or BCN
10 notice that followed the SOC was not evaluated.
11 Verify. Correct.

12 MS. OLIVER: Thank you. Becky Oliver,
13 WorldCom. Was that, per scope of the MTP, that BCN
14 notices would not be validated in some way, other than
15 what we already talk about with the PID?

16 MR. MAY: Correct. Question 10: Does
17 the scope of the following evaluation criteria, "Qwest
18 provides complete responses to CLEC preorder
19 transactions," include the sufficiency of preorder
20 responses for translation to, and integration with,
21 ordering scenarios? The answer is, yes.

22 Question 11, and the response here is
23 going to apply for Questions 11 through 15, except for
24 there are different products which I will note. Did
25 HP's evaluation, which found that accurate and clear

1 error messages were returned on resale orders, include
2 instances where multiple error messages were returned
3 for one LSR, so that HP confirmed that the returned
4 error messages reflected all errors included on the
5 LSR. And the answer is, yes.

6 MS. OLIVER: Becky Oliver, WorldCom. And
7 when that happened, was that the result of
8 unintentional errors on the LSR? Did I understand,
9 from earlier discussion, that orders were not
10 intentionally submitted with multiple errors?

11 MR. MAY: Yes, except for perhaps some
12 test-bed-related issues. So, again, the answer is yes.
13 For Question 12, referring to UNE-P and UNE-C orders;
14 13, 14 and 15 for UNE-L, line-sharing and shared loop
15 orders and UDF orders.

16 That brings us to Montana State
17 Commission, Question No. 1. The third sentence in
18 Section 2.1.1.1, should this sentence be revised to
19 read, "If the customer address on LSR does not match."
20 Yes, HP will revise its report. Okay.

21 Moving right along to the questions on HP
22 report Test 12B, on Test 12B. First question: HPC
23 reports, "CLECs do not need to migrate to new releases
24 immediately." Please explain whether this statement is
25 true for all EDI interfaces employed by Qwest, i.e.,

1 preordering, ordering and billing. The statement is
2 true for all IMA EDI functions. This statement was in
3 reference to the IMA EDI interface for preorder, order
4 and post-order functions only.

5 Question 2 --

6 MR. CONNOLLY: Tim Connolly. Do you
7 know, for billed, if there's a requirement to migrate
8 to new releases immediately?

9 MR. MAY: With regard to CRIS -- it's our
10 understanding, with regard to CRIS 811, that, yes, you
11 have to migrate.

12 MR. CONNOLLY: Thank you.

13 MR. MAY: Question 2: Please provide the
14 basis for HP's statements on the standalone test
15 information. The statements are based on Qwest's IMA
16 EDI implementation guidelines.

17 Question 3: Please provide HP's
18 understanding of the differences between Qwest bills
19 and invoices, if any. There is no difference.

20 Question 4: Please provide the number of
21 wholesale bills received by the P-CLEC from Qwest
22 during the course of the OSS third-party test. In the
23 case there is a difference between bill and invoice,
24 provide the number of wholesale invoices received by
25 the P-CLEC from Qwest during the course of the OSS

1 third-party test. The number of wholesale bills
2 received by the P-CLEC was 44,430.

3 Question 5: Please provide the number of
4 wholesale bills received by the Volume P-CLEC from
5 Qwest during the course of the OSS third-party test.
6 We received none. No CRIS 811 bills.

7 Question 6: Provide the number of bands
8 that Qwest assigned to the P-CLEC during the course of
9 the OSS test. Indicate the number assigned per state.
10 During Test 12, Qwest assigned 78 bands to the P-CLEC.
11 All states have five, except Idaho, which had eleven;
12 Oregon, six, and Washington, six.

13 Question 7: Please -- I am sorry.
14 Provide the number of bands that Qwest assigned to the
15 Volume P-CLEC during the course of the OSS test.
16 Indicate the number assigned per state. During the
17 volume test, Qwest assigned 72 bands to the Volume
18 P-CLEC. All states have five, except Oregon, which had
19 six, and Washington which has six.

20 Question 8: Please explain the reasons
21 HP provides for no description of the DUF interface.
22 Daily Usage Fee, DUF, was covered in Section 8.2 of
23 HP's interim report.

24 Question 9: Please --

25 MR. FINNEGAN: John Finnegan with a

1 follow-up on the interim report. Should that be
2 considered an adjunct or a part of HP's final report?

3 MR. MAY: It's a -- I would say, no. Our
4 interim report is our interim report. It was issued
5 March 31st, 2001. And our final report is our final
6 report.

7 MR. FINNEGAN: But it appears that some
8 of the responses, in order to get a sense for
9 activities that HP performed, would not be found in the
10 draft final report. It would be entirely separate
11 sections in the interim report.

12 MR. MAY: Based on chronology and the
13 requirement for us to issue an interim report.

14 MR. FINNEGAN: Is there any way to map
15 which portions of the interim report would be only
16 found in the interim report and not found in the draft
17 final report?

18 MR. MAY: Again, it's a chronological
19 issue, and I believe we noted the time frames or the
20 chronology in our draft final report. In other words,
21 the interim report covered through March 31st of 2001.
22 The final report covers everything else.

23 MS. ANDERSON: This is Denice Anderson
24 from MTG. I think, also, would it be fair, Geoff, to
25 say that the interim report focussed on the initial

1 creation of the interfaces, and then other things
2 utilizing those interfaces, or upgrading them to the
3 next release, or whatever, would be covered in the
4 final report?

5 MR. MAY: HP would concur with that. In
6 Section 2.4 of our Test 12A report, it states that,
7 "during the period from March 2001 to April 2002."
8 We're just checking for that reference to chronology.

9 MR. FINNEGAN: If so, if I am
10 understanding you, you really need to look at both. If
11 you want to understand what HP's findings were, prior
12 to March 31st of 2001, you need to look at the interim
13 report.

14 MR. MAY: Yes. And, in general, as
15 Denice explained, the interim report covers the
16 building of the pseudoCLEC, whereas our draft final
17 report describes the experience during transaction
18 testing.

19 Question 9: Please explain whether HP
20 considers recertification to be a part of the migration
21 activities that it conducted in the Release 7 and
22 Release 8 activities. The answer is, yes.

23 Question 10: Provide a definition and
24 description of the scouting activities conducted by the
25 P-CLEC. I believe this question was covered yesterday

1 by KPMG. Anything else, Joe?

2 MR. DELLA TORRE: No. I will just revisit
3 it, as promised yesterday. This was one of those very
4 smoothly presented question and answers, from the HP
5 section, on scouting activities. This is a testing
6 principle that we have applied in many of our test
7 areas, where we will conduct, if you will, a QA test,
8 where we send a small number of representative
9 transactions to determine that, in fact, our
10 transactions are well-formed; that connectivity exists;
11 that we can receive and understand responses. Those
12 are the, quote, scouting activities.

13 MR. MAY: Okay. I believe that brings us
14 to WorldCom questions for test -- for HP Report 12B.

15 MR. CONNOLLY: Don't you wish.

16 MS. ANDERSON: Yes, we do.

17 MR. CONNOLLY: Earlier this morning, in a
18 discussion of AT&T's questions on Test 12, specifically
19 No. 2, we asked which of the preorder inquiries can be
20 integrated into ordering transactions by HP. And you
21 referred us to your reports. And I look at Footnote 3,
22 in Report 12A, and it says, "The results of HP's
23 analysis on integration capability issues are
24 documented in Appendices HP B and HP C respectively."
25 Are these the appendices you are talking about?

1 MR. MAY: Yes, sir.

2 MR. CONNOLLY: Can you tell me where, in
3 Report B, you see anything about integration?

4 MR. MAY: You mean Appendices B? Is
5 that --

6 MR. CONNOLLY: You said, when I asked
7 you, you said that's this report that we were just
8 talking about.

9 MR. WEEKS: I think the confusion is over
10 12B versus Appendix B.

11 MR. MAY: Yeah. Those are two
12 separate --

13 MR. WEEKS: Two separate documents. Both
14 have a "B" in it.

15 MR. CONNOLLY: So, Report 12B does not
16 describe interface.

17 MR. MAY: That preorder to ordering
18 integration was covered in the Appendices B and A -- I
19 mean B and C, sorry.

20 MR. CONNOLLY: Okay. Thanks for that.
21 It seems to me that Section 2 of Report 12B is sort of
22 generalized background information. And we don't get
23 to find out what HP really did, until we get to Section
24 3. Am I reading this properly?

25 MR. MAY: Yes.

1 MR. CONNOLLY: Why are there no
2 evaluation criteria against which you looked at the
3 proceeds of the work of the pseudoCLEC, and in 12B?

4 MR. MAY: This is because, by agreement
5 between the parties, the vendors, and with the
6 concurrence of the steering committee, those activities
7 that the pseudoCLEC engaged in, other than those
8 covered in our assigned, discrete reports, the
9 preference was to have them integrated, if you will,
10 into the KPMG draft final report. And, so, Test Report
11 12B and 12C are intended to provide that description of
12 the so-called pseudoCLEC experience.

13 MR. CONNOLLY: Not subjected to any
14 evaluation? Just iteration of fact.

15 MR. MAY: Correct.

16 MR. CONNOLLY: That's different from 12A?

17 MR. MAY: Correct.

18 MR. CONNOLLY: Which is a report that
19 conveys a certain level of your evaluation of how those
20 interfaces work.

21 MR. MAY: That's correct. And anything
22 else?

23 WorldCom Question 1 on Test Report 12B:
24 Clarify what is involved for a CLEC to, "Verify the
25 transport configuration parameters," and why that is

1 necessary for transactions that do not require
2 recertification. Qwest's trading partner I.D. has
3 changed with each IMA EDI release. Trading partner
4 checks need to be conducted when completing a new IMA
5 EDI release, even if the transaction does not require
6 recertification.

7 Question 2. Does Qwest's 811 Transaction
8 set contain any variances from TCIF 811 guidelines? If
9 so, are those variances identified in the, quote,
10 BillMate Billing EDI Customer Guide, unquote, for
11 CLECs' use. The answer is, yes. Yes, in both
12 instances.

13 WorldCom Question 3: Does the RCE User
14 Guide define which product services qualify as
15 nondesigned and for which RCE would be used? The
16 answer is, no.

17 WorldCom 4: For each new CEMR/RCE
18 release, when are the release notes provided to CLECs?
19 (i.e., before, upon, or following implementation of the
20 release.) The answer is before.

21 Question 5 --

22 MS. OLIVER: Hold on just a second.
23 Becky Oliver, WorldCom. Follow-up back on Question 3.
24 Did the P-CLEC then just find out from -- through their
25 account management, or from what means, as far as how

1 RCEs should be used for nondesigned services, if it
2 wasn't something that was documented in the user guide.

3 MR. MAY: The RCE User Guide does not
4 specifically define which products and services qualify
5 as nondesigned. Qwest has combined the RCE User Guide
6 into the CEMR User Guide, so the answer to your
7 question is the CEMR User Guide as opposed to some
8 other source.

9 Question 5: What source or sources does
10 a CLEC use to obtain one of the four formats of the
11 circuit I.D. needed to submit a designed-service
12 trouble ticket via CEMR? There are two sources. One,
13 CLECs use the format that is provided on the FOC; or,
14 two, CLECs use the format for the type of circuit that
15 Qwest provided to the CLEC.

16 MS. OLIVER: Becky Oliver, WorldCom. I
17 didn't follow the No. 2. CLECs use the format
18 provided --

19 MR. MAY: CLECs use the format for the
20 type of circuit that Qwest provided to the CLEC.

21 MS. OLIVER: Well, where did -- how did
22 Qwest provide that circuit format?

23 MR. MAY: Through the circuit ordering
24 process.

25 MS. OLIVER: So, is that really the same

1 as the first response that's provided back on the FOC,
2 and then it's up to the CLEC to keep track of that for
3 any future time that they want to submit a trouble
4 ticket?

5 MR. MAY: We're going to take that back
6 and try to provide a clarification for you.

7 MR. PETRY: Can you restate the question
8 that you are looking for?

9 MS. OLIVER: Sure. This is asking, from
10 what source or sources did the CLEC use to obtain one
11 of the -- or the correct format to use for the circuit
12 I.D. which is needed to be used to submit a
13 designed-service trouble ticket via CEMR.

14 MR. MAY: Okay.

15 MR. VIVEROS: This is Chris Viveros from
16 Qwest. I think part of the problem, that the question
17 in itself, to some degree, infers that there's a
18 choice. And I think HP's answer is trying to convey
19 that there really isn't a choice. Circuit I.D.s are
20 assigned based on type of circuits. So, if I have a
21 point-to-point circuit, like an unbundled loop, it's
22 going to get a common language circuit identifier
23 format, a private-line type of format as opposed to a
24 multiplex high-capacity facility, which gets a common
25 language facility identification format. The formats

1 are different. So, based on what you see, by product,
2 you will always see a single format for that type of
3 product.

4 To your earlier question, yes, once you
5 have asked for an unbundled loop, we will assign a
6 circuit I.D. and that circuit I.D. for that unbundled
7 loop should be treated just like a telephone number for
8 finished service. You would maintain it, once you
9 receive it on FOCs, or subsequent order activity, for
10 maintenance and repair purposes, for bill validation
11 purposes.

12 MR. MAY: Does that clarify it for you?

13 MS. OLIVER: Yes, thank you.

14 MR. MAY: Good. Questions 6 and 7, we
15 believe KPMG has covered yesterday.

16 MR. DELLA TORRE: Would anyone like a
17 recap of those?

18 MS. OLIVER: Yes.

19 MR. DELLA TORRE: The answer is, yes.
20 Great. Question 6 from WorldCom: One of the Qwest
21 representatives verifies CLEC ownership of a line for a
22 manually submitted trouble ticket. Is Qwest able to
23 identify instances where the line recently migrated to
24 the CLEC, i.e., the SOC has issued but the order has
25 not completely processed through Qwest's back-end

1 systems. And this is a question of ownership rules,
2 and Qwest employees do have the ability to contact
3 business offices, and other groups, to verify the
4 ownership in question. And we discussed yesterday how
5 a ticket could be put in, even if the RSID is not --
6 the migration has not happened yet. However, this
7 would need to be assessed, really, on a case by case,
8 and the specifics of the timing of the migration, the
9 timing of the trouble ticket, and what type of
10 migration was happening, the type of trouble being
11 entered.

12 So, generically, the answer is that there
13 are rules of ownership that Qwest employees can employ.
14 But, specifically, we do not know, in any particular
15 case.

16 And Question 7: When a Qwest
17 representative assigns a trouble ticket number, and an
18 appointment time for the completion of repairs for
19 manually submitted trouble tickets, does the
20 appointment time reflect the same commitment time that
21 would have been returned if the trouble ticket had been
22 electronically submitted? And the answer is, we do not
23 know. We did not do a validation or a comparison from
24 one submission format or interface to the other.

25 MR. MAY: Question 8: Confirm if the

1 P-CLEC evaluation of received CRIS 811 invoices was
2 limited to identification of any EDI mapping/format
3 issues and did not involve an analysis of the content
4 or accuracy of the CRIS 811 invoice. This is correct.

5 Question 9: Disregarding scope
6 differences between IMA Releases 6, 7 and 8.0, was the
7 P-CLEC's experience with workload and challenges
8 involved to migrate to a new IMA release consistent
9 with each IMA release? The answer is, yes.

10 Question 10: Did the P-CLEC conduct its
11 migration activities for IMA releases 7.0 and 8.0 at
12 the same time that the releases became available in
13 production? The answer is, yes.

14 Question 11: Based on the P-CLEC's
15 experiences with establishing access/connectivity to
16 CEMR, approximately how much time is needed by an
17 individual CLEC user to complete CEMR's browser and
18 digital certificate requirements? Digital certificate
19 assignment from the account manager takes a minimum of
20 48 hours. Downloading Netscape 4.51 takes 15 to 20
21 minutes per user. Loading the digital certificate
22 takes 15 to 30 minutes per user.

23 MS. OLIVER: Becky Oliver, WorldCom. A
24 couple of follow-ups, back on Question 10. The
25 response, yes. Is that apply to both IMA, EDI and GUI

1 releases?

2 MR. MAY: Yes.

3 MS. OLIVER: And I would like to
4 follow-up on Question 9, because I have some -- which
5 is kind of the general question, the nature of it.
6 Because I am saying, disregarding scope differences
7 between the IMA releases, did -- the P-CLEC didn't
8 necessarily find that any improvements or changes or
9 lessons learned were helpful in making implementation
10 of releases after, you know, they had one or two done;
11 that none of those types of things contributed to
12 making it an easier process. It was pretty much
13 consistent, the same challenges.

14 MR. MAY: Yes. We stand by our answer
15 that it was consistent. It's, I guess, sort of a
16 difficult question to answer, given that the
17 pseudoCLEC, or any CLEC, would be gaining experience in
18 going through the certification process with each
19 certification it undertook.

20 MS. OLIVER: Okay.

21 MR. MAY: We have.

22 MR. CONNOLLY: And Don's proud of that.

23 MR. MAY: We have done four.

24 MS. OLIVER: Thank you.

25 MR. MAY: Which brings us to just a

1 follow-up on Tim's question on 12B, Question 8,
2 regarding coverage of the interfaces in the interim
3 versus HP final report sections. We do have a
4 reference in Test Report 12B, in Section 1.0,
5 description, the second paragraph.

6 MR. CONNOLLY: Well, our Question 8, as I
7 recall my records, is, explain the reasons that there's
8 no description of the DUF interface. That's my 8.

9 MR. MAY: Right. We said it was covered
10 in Section 8.2 of HP's interim report, which then led
11 to the discussion of what was covered where. So we're
12 just trying to provide a reference point to the point
13 that we made during that discussion.

14 MR. CONNOLLY: So, paragraph 1 does not
15 provide a description of the DUF interface?

16 MS. ANDERSON: (Shaking head in the
17 negative.)

18 MR. MAY: I apologize. The reference is
19 not so much Question 8, but the ensuing discussion.

20 MR. CONNOLLY: About the interim report
21 and its relationship to the --

22 MR. MAY: Correct.

23 MR. CONNOLLY: -- draft final report.

24 MR. MAY: Correct.

25 MR. CONNOLLY: I am glad you asked me to

1 follow-up. One short question for follow-up. I
2 remember I asked you this morning, about HP's
3 experience in integrating pre-order functions with
4 order. What did HP do to integrate, and you referred
5 me to Appendices B and C.

6 And Appendix C, which I couldn't open at
7 the time we were talking about that, says that the
8 purpose of the evaluation that's portrayed in Appendix
9 C is to analyze Qwest's OSS guidelines and its
10 adherence to industry standard LSOC 5 issue guidelines,
11 further analyzing Qwest's conforming to pre-order,
12 order and post-order processing. All discrepancies in
13 their perceived impacts and CLEC's ability to integrate
14 are documented.

15 There's nothing in here that says what
16 did HP integrate, which pre-ordering functions did HP
17 integrate with order. That was my original question.

18 MR. PETRY: Appendix B, Section 5, page
19 38.

20 MR. MAY: Appendix B, Section 5, page 38,
21 provides the Table 5.1. Identifies that those fields
22 that were integrated in pre-order to pre-order
23 processing. We did both preorder to preorder and
24 preorder to order.

25 MR. CONNOLLY: So, it's in Appendix B and

1 not C.

2 MR. MAY: Well, B describes the ability
3 of the pseudoCLEC to integrate pre-order and order for
4 Release 7. And in Appendix C, describes the same for
5 Release 8.

6 MS. ANDERSON: Okay. Can we move on now?

7 MR. MAY: Test 12C, AT&T Question 1 --

8 MR. VIVEROS: I am sorry to interrupt.
9 Before we leave B, Qwest would just like to make a
10 point about WorldCom 12B/7, which has to do with the
11 time commitments. We wanted to point out, this topic
12 was discussed yesterday. And Mr. Simons had indicated
13 that criteria for determining the commitment time is by
14 product. That is the only criteria. So, the method of
15 submitting a trouble ticket does not impact the
16 commitment time.

17 MR. WEEKS: Same tables that are used in
18 both cases; that are by product?

19 MR. VIVEROS: Exactly.

20 MR. MAY: AT&T Question No. 1 on Test
21 Report 12C: Please explain the discrepancies between
22 the HPC description of the composition of a Qwest
23 Service Team and that provided by KPMG in its Test 24.3
24 report. HP inadvertently titled the service director
25 as senior director, in one instance. HP revised the

1 report to correct this. HP also described two higher
2 level escalation points, as communicated to the
3 pseudoCLEC, by Qwest, which are executive director and
4 vice president.

5 Question 2: Please indicate the location
6 of the documented "P-CLEC expectations." Copy of
7 P-CLEC expectations will be provided with the final
8 version of HP's report.

9 Question 3: Please confirm that the
10 P-CLEC was not assigned a Sales Executive. This is
11 confirmed.

12 MR. FINNEGAN: John Finnegan. Can I ask
13 a follow-up. In the account management arena, there
14 was reason and approval from the TAG to cite certain of
15 the folks that were involved with the account
16 management relationship. Do these findings at all
17 distinguish between pre- and post-citing of the folks
18 that were subject to the evaluation?

19 MR. MAY: No. They were -- the Qwest
20 account team was cited from the beginning.

21 MR. FINNEGAN: So, these findings would
22 include conclusions, after the fact, for the accounts
23 that were being evaluated. They knew HP was the OSS
24 tester.

25 MR. MAY: That's correct.

1 MR. FINNEGAN: Did HP attempt to discount
2 that at all, or factor it into any of its conclusions?

3 MR. MAY: Andy?

4 MR. CRAIN: I guess I would want to
5 clarify that the whole issue of how the account teams
6 ought to be treated was addressed at the start of this
7 test. And to prevent favorable treatment, we agreed
8 that, rather than making those people blind to who the
9 pseudoCLEC was, we would cite them, but the process
10 would be open, so that CLECs could attend and watch and
11 make sure they weren't getting favorable treatment.

12 And I would state that there's no reason
13 to discount the fact that these -- discount these
14 conclusions, because people were cited, because other
15 processes were in place to ensure that they were not --
16 that the pseudoCLEC, indeed, would not be receiving
17 favorable treatment.

18 MR. MAY: I do think it's an interesting
19 question. You might -- another way of looking at it is
20 if they can't give answers or can't point us in the
21 right direction, even while they're cited, that might
22 be an indication of a problem area. And we did
23 identify such through the observation-and-exception
24 process, as we would any problem we encountered. So, I
25 would agree with Andy's characterization.

1 The account management meetings were open
2 to the TAG. They were noticed to the TAG. The minutes
3 were distributed to the TAG.

4 MR. FINNEGAN: Did HP notice any
5 difference, pre-and post-citing, in the treatment that
6 it was receiving from the cited employees?

7 MR. MAY: No. They were cited right from
8 the start.

9 MR. FINNEGAN: Were they cited right from
10 the start? My recollection is they were blind until it
11 appeared they had figured it out.

12 MR. MAY: They were cited from the
13 beginning.

14 MR. CRAIN: I think you are mixing up
15 Arizona and the ROC.

16 MS. ANDERSON: How could that be?

17 MR. CRAIN: We discussed this issue first
18 in Arizona, where it became apparent that people
19 figured out, very quickly, who the pseudoCLEC was. And
20 so, as a result of those learning experiences, I think
21 citing was in place from the start here.

22 MR. MAY: Moving on to WorldCom questions
23 on Test Report 12C.

24 Question No. 1: Please clarify what
25 service is being referenced in the following statement:

1 "The Account Team also ensures that the quality of
2 service provided to its CLEC customers is maintained."
3 (e.g., the account team service? Or Qwest's overall
4 wholesale service.) The statement in this question
5 refers to Qwest's wholesale service as the Qwest
6 service team is a single source of support for all
7 issues regarding ordering, provisioning, maintenance
8 and repair, as well as being responsible for
9 provisioning and maintaining the CLECs' service for
10 maximum performance.

11 Question 2: What actions did P-CLEC
12 observe its Account Team taking to ensure the "quality
13 of service" being provided to the P-CLEC? The P-CLEC
14 observed that the Qwest account team participating on
15 weekly conference calls to address questions and
16 issues, escalating issues internally, responding to
17 phone calls, pages, and E-mail communications in order
18 to ensure that service quality was delivered to the
19 P-CLEC.

20 WorldCom Question 3: Did HP, acting as
21 the P-CLEC, interact with its Account Team for items
22 outside the scope of what an actual CLEC would, given
23 the nature of the P-CLEC's testing requirements? The
24 answer is, no.

25 Question 4: Please identify the

1 differences between Service Manager and Account
2 Manager, to clarify footnote 5, which states, "In the
3 P-CLEC's experience, the same Qwest individual filled
4 both the Account Manager and Service Manager titles."
5 HP's report explains the differences understood by HP,
6 based on Qwest's documentation and the P-CLEC
7 experience. The P-CLEC has one service team that
8 answered for all products and services; and, therefore,
9 HP would defer to Qwest for further clarification.

10 MS. OLIVER: Becky Oliver, WorldCom. I
11 thought there's service management and sales
12 management. So, here it's saying service manager and
13 account manager. Are those one and the same?

14 MR. MAY: The titles were used
15 interchangeably, and they evolved over time.

16 MS. OLIVER: So, the footnote that is
17 saying, "The same Qwest individuals filled both the
18 Account Manager and Service Manager titles," that was
19 actually the same position?

20 MR. MAY: Yes. The title began with
21 account manager and evolved to service manager.

22 Question 5: Why did the P-CLEC's Service
23 Manager and Service Management Team also act as the
24 P-CLEC's sales team? And this is due to the parameters
25 of the test. There was no need for sales support.

1 Service support was necessary.

2 Question 6: How many individuals made up
3 the P-CLEC's Service Account Team? The answer is
4 three. And that concludes HP's Test 12 report.

5 MR. DELLA TORRE: I would like to go back
6 to something from earlier in Test 12. They were, I
7 believe, AT&T Questions 33 and 35, where there was a
8 request to disaggregate the results for PO-4A and PO-4B
9 into PO-4A-1 and 2, PO-4B-1 and 2. So we can run
10 through some numbers for you real quick, if folks want
11 to scribble these down. I would break them into
12 regions.

13 The first one is for Question 33. PO-4A,
14 eastern region, 4A-1, total of 16; 4A-2, total of 34.
15 For the central region, 4A-1, a total of 13; 4A-2,
16 total of 14. And for the western region, 4A-1, total
17 of 9; and 4A-2, a total of 26. And as we were
18 directed, one of the appendices -- I believe, K --
19 those were aggregated intentionally. So we are not
20 disaggregating those in the report, as we were not
21 supposed to begin with this information, one, being
22 provided to respond to a question.

23 And for Question 35, which is PO-4B.
24 Again, for the eastern region, 4B-1, 186. And 4B-2,
25 933. For the central region, 4B-1, 189; and 4B-2,

1 1,129. And for the western region, 4B-1, 172; and
2 4B-2, 810.

3 MS. ANDERSON: Joe, do you think --

4 MR. FINNEGAN: This is John Finnegan. I
5 am frantically scrambling through papers. Does that
6 provide sufficient information to back-in the specific
7 manually rejected percent of orders and automatically
8 rejected percent of orders? Is the denominator
9 somewhere in the --

10 MR. DELLA TORRE: Well, the numbers I just
11 gave you were the split of the total. So, the 34 and
12 the 16 would be the 50 that we provided.

13 MR. FINNEGAN: That would be the
14 numerator. It looks like it is on 12.5.5. 197 LSRs
15 submitted. Thank you.

16 MR. DELLA TORRE: Thank you. Okay. Good.

17 MS. ANDERSON: Yes, Joe.

18 MR. DELLA TORRE: Denice, I was just going
19 to say, I think Test 13 would be pretty -- I'm almost
20 afraid to say this, guys -- in comparison to what we
21 have done already this morning, this will be more
22 brief.

23 MS. ANDERSON: Yes. So, why don't we go
24 ahead and launch into that. The break is scheduled for
25 three. We might be able to get through some of this.

1 MR. DELLA TORRE: Start with Test 13,
2 Washington State.

3 MR. WEEKS: Yes. 13 is the order
4 flow-through evaluation. This test is a little bit
5 different than many of the other tests in the sense
6 that this was on a single evaluation criteria that was
7 in some form of satisfied, not satisfied, or whatever.
8 And there were actually ten of the evaluation
9 criterion, which were in diagnostics, so, it feels and
10 looks a little bit different in terms of results. So,
11 there are no not-sats in this. And you can browse
12 through the diagnostics and make of those what you
13 will.

14 There were, even though they were
15 diagnostic in nature, certain observations and
16 exceptions that were culled out in the various comment
17 sections for those -- where we saw things during the
18 course of the test that caused us to raise a question
19 or raise an issue with Qwest about flow-through itself,
20 but those are all now closed. And there are no
21 outstanding observations or exceptions, and there
22 really isn't a flavor of any state-specific kinds of
23 information that are embedded in these results with
24 respect to the flow-through. Any follow-up questions
25 from Washington?

1 Okay. Let's jump right in. AT&T
2 Question No. 1: By what means did KPMG Consulting
3 determine that orders did and did not fallout from
4 manual handling? And our process in this test was to
5 compare our expected flow-through performance with the
6 actual flow-through results, which we understood or we
7 gained that knowledge from a Qwest report of detailed
8 flow-through activities for ordering. And that is a
9 test-specific report. It's not something typically
10 generated by Qwest.

11 Question 2: Please provide such a figure
12 for the retail analogue of this system flow for retail
13 mechanized orders from submission through service order
14 generation. There was no parity components to the
15 process in the flow-through orders for Test 13;
16 therefore, we do not have that figure to provide.

17 MR. CONNOLLY: Tim Connolly. The request
18 was not for a number. The request was for a comparable
19 diagram attune to -- akin to Figure 13.

20 MR. DELLA TORRE: We don't have that.

21 MR. WEEKS: We didn't have any reason to
22 have it.

23 MR. DELLA TORRE: Question 3: Please
24 provide the ULR of the Qwest Website that contains the
25 Qwest Order Business Rules. And the Website is

1 Qwest.com/disclosures/netdisclosure409.html.

2 MR. CONNOLLY: Tim Connolly. Joe, is
3 this a precise document title, do you believe?

4 MR. WEEKS: This is the URL to get you to
5 the Web page.

6 MR. CONNOLLY: Is the document titled,
7 "Qwest Order Business Rules"?

8 MR. DELLA TORRE: We can actually direct
9 you to it. The rules are located under the following
10 links: That would be, the first is, quote, developer
11 worksheet/order -- or hyphen order. And, quote,
12 developer worksheet hyphen other order.

13 MR. CONNOLLY: Thank you.

14 MR. DELLA TORRE: Question 4: Please
15 confirm that there is no Qwest USOC, "NFT," that can be
16 included on an LSR that would prohibit the order from
17 being processed as FT or flow-through. And we wanted
18 to make sure that we clarified that our use of the
19 "NFT" was an acronym for nonflow-through.

20 The next several questions, I think, are
21 around the same idea. NFT, to the best of our
22 understanding, is not a USOC. It is not a FID. And
23 nor is it a data element. It is simply an acronym that
24 we use to identify nonflow-through.

25 MR. FINNEGAN: I want to go back to the

1 third question. If I was hearing Qwest correctly --
2 it's been a long couple of days. Did you say it was
3 the EDI developer's worksheet in the business rules for
4 flow-through eligibility?

5 MR. DELLA TORRE: Qwest Order Business
6 Rules are on the Qwest Website disclosure address. And
7 the actual rules are located under links entitled,
8 "developer worksheet-order" and "developer
9 worksheet-other order."

10 MR. FINNEGAN: Would that also include
11 the GUI, since there's no development, as we have
12 previously discussed, with GUI use?

13 MR. DELLA TORRE: It's the same.

14 MR. FINNEGAN: At one time, there was a
15 document attached to the PIDs that put in place the
16 rules for the orders for -- types of orders that would
17 be flow-through eligible. Upon agreement of the TAG,
18 that was taken out. My understanding was it was going
19 to go somewhere in the Standard Interval Guide, is the
20 document that --

21 MR. WEEKS: This is what we used.

22 MR. FINNEGAN: That you used. Is that
23 the only document?

24 MR. VIVEROS: This is Chris Viveros from
25 Qwest. I think we're talking about different

1 documents. As I understand KMPG's answer, they are
2 talking about documentation that expressed Qwest's
3 Order Business Rules, not unique to flow-through, but
4 the actual Order Business Rules. The document that
5 John is referring to, the LSRs eligible for
6 flow-through, is a document that, at one point, was
7 appended to our PID by agreement. We removed that,
8 added a note to the PO-2 measure that says, "Subsequent
9 versions of this document will be managed through CMP."
10 That is how we publish the flow-through -- the LSRs
11 eligible for flow-through. It's sent out through the
12 CMP process, generally associated with a new version of
13 IMA, because that's when we would have updated the
14 rules.

15 MR. FINNEGAN: In the draft final report,
16 there's a reference, as the orders pass-through the
17 Operation Support Systems, OSS, as described above, the
18 eligibility is determined using rules described in the
19 Qwest Order Business Rules and if the LSR's eligible
20 for flow-through documents.

21 MR. DELLA TORRE: We do cite that, if you
22 look at Criteria No. 1311, you will see those -- the
23 exact documents that you just referenced as the
24 document sources that we used to set our expectations.

25 MR. FINNEGAN: So, when the documents

1 were corrected, and in response to exceptions and
2 observations, were both of these documents corrected
3 such that they were consistent?

4 MR. DELLA TORRE: Not necessarily, because
5 they provide different information and they're
6 different documents. One is telling you what LSRs are
7 flow-through eligible. Another is providing you with
8 business rules information.

9 MR. WEEKS: I think we may have misled
10 you with our answer. When we had flow-through-related
11 observations and exceptions, and Qwest decided to
12 update its document to describe what flow-through it
13 didn't flow through, then it wouldn't necessarily have
14 to update the business rules document. It might only
15 have needed to update the other one, the eligible
16 flow-through documents.

17 So, we were taking those together. We
18 should have answered it separately.

19 MR. FINNEGAN: Was it a mixed bag as to
20 what got updated, or was it, they always updated the
21 LSRs eligible for flow-through document, and sometimes
22 updated the Qwest Order Business Rules?

23 MR. DELLA TORRE: We experienced one
24 instance where the Order Business Rules were revised,
25 for -- related to an exception. In all other cases,

1 document revisions were made to the LSR flow-through
2 eligible document. And I believe we do cover that in a
3 question further on in either your set or WorldCom's
4 set.

5 MR. FINNEGAN: Maybe I am jumping ahead.
6 As long as we're on this train of thought, the
7 expectations as to what should flow through, is that
8 based on the LSRs eligible for flow-through
9 documentation?

10 MR. DELLA TORRE: Yes.

11 MR. FINNEGAN: Not the Qwest Order
12 Business Rules?

13 MR. WEEKS: Correct.

14 MR. FINNEGAN: Thank you.

15 MR. DELLA TORRE: Question 4 --

16 MR. CONNOLLY: Excuse me, Joe. Just to
17 point out an area where -- I believe it was a report
18 that confused me. In the last paragraph of Section
19 2.1, the second to the last sentence concludes with,
20 "but the inclusion of an NFT Universal Service Ordering
21 Code (USOC) on the LSR, would prohibit the order from
22 being processed as FT."

23 MR. DELLA TORRE: We will revise that to
24 be clearer. What is intended there is that there are a
25 set of USOCs that are nonflow through. So, if one of

1 those USOCs is put on the order, then, even if the
2 parent order is typically flow-through eligible, if a
3 nonflow-through USOC is populated on that order, it
4 will drop manually.

5 MR. WEEKS: The USOC of time is not
6 flow-through.

7 MR. DELLA TORRE: As opposed to valid.

8 MR. CONNOLLY: That's what I thought.

9 MR. WEEKS: We will clarify the English.

10 MR. CONNOLLY: You can see the cause for
11 my concern. Is it your understanding that all of those
12 USOCs, that, if present, cause an order to not flow
13 through, are those documented on the LSRs eligible for
14 flow-through documents?

15 MR. DELLA TORRE: Yes, they are.

16 MR. CONNOLLY: Thank you.

17 MR. DELLA TORRE: So, Question 7: Are the
18 3,650 orders -- which we took to mean 3,650 orders.

19 MR. CONNOLLY: That's just one key away.

20 MR. DELLA TORRE: -- that were submitted
21 via EDI, part of the order volume submitted for Test
22 12? And the answer is, yes.

23 Question 8: Please explain the
24 verification that KPMG conducted of the process whereby
25 changes to Qwest's OSS and interfaces that impact order

1 flow-through are communicated to the organization that
2 is responsible for the maintenance and publication of
3 the Qwest LSRs eligible for flow-through document. And
4 to use our favorite acronym, this is the black box
5 test, and we did not assess the internal distribution
6 of documentation or information internal to Qwest.

7 Question 9: Are the 331 orders that was
8 submitted via IMA GUI part of the order volume
9 submitted for Test 12? And the answer is, yes.

10 WorldCom Question 1 --

11 MS. ANDERSON: This might be a good time
12 to take a break.

13 MR. DELLA TORRE: Given personnel, and the
14 time on the clock, we'll take our break now.

15 (Recess.)

16 MR. DELLA TORRE: We just want to start
17 off with a clarification, from our discussion moments
18 ago, about flow-through and nonflow-through USOCs. The
19 LSR flow-through eligible document does not, in fact,
20 have a list of USOCs that do and do not flow. What
21 this is is a description of order types, transaction
22 types, different transaction activities that could be
23 submitted or transmitted that either do or do not flow.
24 So, there are then implications to the related USOCs,
25 to those scenario types that will and will not

1 flow-through.

2 MR. WEEKS: So you take the language from
3 the document and drop it into the USOC finder, and it
4 gives the list of one or more USOCs that fit that
5 category. So, you can get to the USOCs. It's a
6 two-step process not one-step process.

7 MR. FINNEGAN: Is there a reason why it
8 couldn't have been a one-step?

9 MR. WEEKS: Qwest would have to answer
10 that.

11 MR. FINNEGAN: Well, from a testing
12 perspective, the documentation was found by KPMG to
13 inaccurately describe what the rules were for
14 flow-through. Qwest made a documentation fix and
15 presumably KPMG found that fix acceptable.

16 MR. DELLA TORRE: No, not that it
17 inadequately described. We were able to establish our
18 expectation of flow-through.

19 MR. WEEKS: It was inaccurate, not
20 inadequate.

21 MR. DELLA TORRE: Correct.

22 MR. WEEKS: There were situations that
23 the original document led us to believe would flow
24 through. Subsequent test activity revealed that that
25 list was not accurate. The list was revised in the

1 document. The list was flow through. And if you want
2 to translate what appears in the document to actual
3 USOCs, there's a tool to do that that Qwest provides.

4 So, the activities that a CLEC needs to
5 perform, in order to get from the flow-through document
6 to the USOCs is not cumbersome or arcane or anything
7 else. It's very usable, and could there have been
8 one-stop shopping? The answer is, yes. There could
9 have been, but we didn't feel, in our opinion, that
10 having two steps, instead of all having to submit a
11 single document, was unacceptable.

12 MR. FINNEGAN: Did KPMG, to establish
13 their expectation, use the two-step process?

14 MR. WEEKS: I think that would be a true
15 statement.

16 MR. DELLA TORRE: Yes. Okay. Let's move
17 forward with WorldCom questions for Test 13.

18 WorldCom No. 1: If the CLEC order is
19 electronically submitted, and Qwest's system
20 electronically returned a reject, with no manual
21 intervention, is the order considered flow-through or
22 nonflow through? In fact, it is nonflow-through
23 eligible, because it had an error on it. So, it's not
24 actually categorized as a flow-through or
25 nonflow-through order, because of an error.

1 Question 2: Did flow-through orders,
2 which were included in this evaluation, contain error
3 conditions which resulted in electronically returned
4 reject notices? And the answer is, yes.

5 Question 3: What --

6 MS. OLIVER: Becky Oliver, WorldCom. I
7 guess I expected you to say, in response to Question 2,
8 it was not applicable, because, if I understood the
9 response to Question 1, you are saying that if an order
10 has an error, it's nonflow-through eligible. So --

11 MR. DELLA TORRE: Well, qualification or
12 the categorization, rather, of flow-through or
13 nonflow-through would not be relevant in an order that
14 has an error and is subsequently rejected. It becomes
15 a nonflow-through eligible, because of the error
16 condition. Did we submit orders that had intentional
17 errors on them to confirm that they then, in fact,
18 rejected? The answer is, yes.

19 MS. OLIVER: Okay. Thanks.

20 MR. DELLA TORRE: Sure. Question 3: What
21 criteria served as the basis for determining
22 flow-through in the flow-through reports that Qwest
23 provided, i.e., that the LSR flowed to SOC without any
24 manual intervention. And we feel that the order
25 conditioned to that question is actually the response;

1 the basis for determining flow-through in the
2 flow-through reports was that the LSR flowed to SOC
3 without any manual intervention.

4 MR. WEEKS: That's our understanding.
5 Qwest is the actual author of that report. And, so,
6 Chris, or someone else, do you want to confirm that
7 that's how you made those decisions?

8 MR. VIVEROS: Chris Viveros, Qwest.
9 That's exactly how the report was developed, was a
10 daily extract of a special run of the data that's
11 collected for producing our PO-2 measure.

12 MR. DELLA TORRE: Question 4: How did
13 KPMG Consulting evaluate the accuracy of flow-through
14 reports that Qwest provided? We verified the accuracy
15 of the flow-through reports by comparing our expected
16 results with the actual results. And, in those cases,
17 where a discrepancy occurred or could not be explained,
18 KPMG Consulting issued an observation or an exception.

19 Question 5: When an order, which was
20 originally thought to be qualified for flow-through,
21 was found to be nonflow-through, due to an error in
22 Qwest's documentation, did KPMG Consulting oversee and
23 confirm that Qwest made the needed corrections to the
24 documentation? The answer is, yes.

25 MR. WEEKS: We didn't oversee, but we did

1 confirm.

2 MS. OLIVER: Okay.

3 MR. DELLA TORRE: Good distinction.

4 Question 6: How often, during the course
5 of KPMG Consulting's flow-through evaluation, were
6 corrections to Qwest's flow-through documentation
7 needed, excluding flow-through documentation updates
8 made as a result of an implemented business rule or
9 system change.

10 MR. WEEKS: Every Wednesday.

11 MR. DELLA TORRE: There were six
12 flow-through documentation versions that had changes
13 and/or corrections throughout the course of the test,
14 Versions 2.0 through 7.0. There's only one case in
15 which we can confirm that the change was made in direct
16 response to an exception.

17 Question 7: Did KPMG Consulting take
18 into consideration nonflow-through ordering?

19 MS. OLIVER: Excuse me, can I just --

20 MR. DELLA TORRE: Certainly.

21 MS. OLIVER: Follow-up on Question 6.
22 Becky Oliver, WorldCom. Was -- I didn't follow the
23 last part of the response; that KPMG confirmed that
24 just one of those six flow-through documentation
25 updates was the result of an exception. How does that

1 relate to the response to the previous Question No. 5,
2 that KPMG confirmed that the corrections were made to
3 the documentation? Were those version updates, then,
4 didn't it correlate to correction of documentation?

5 MR. DELLA TORRE: Well, you have an
6 exclusion in your question. And we would respond by
7 saying that all of the other documentation updates,
8 other than the one that we cited here, were the direct
9 result of system updates or business rule changes that
10 occurred during the course of the test, which is the
11 exclusion that you have in your question.

12 MS. OLIVER: Okay. I don't think I
13 said -- probably didn't do a good job of explaining the
14 exclusion there, because I am reading it now, and I can
15 see where it's confusing. What I meant to exclude was
16 documentation updates that were the result of, say, a
17 new IMA release, something outside and separate from
18 the order flow-through evaluation.

19 MR. WEEKS: Yeah. I think the way we
20 took the question to mean, was the sole reason for the
21 new document was the observation or exception. And, in
22 other cases, there is more than one reason why that
23 document release came out. So, some of those other
24 reasons you included in your exclusion there.

25 MR. DELLA TORRE: We can confirm, as I

1 said originally, that there were six documentation
2 versions. How many specific changes were contained
3 within each version? We do not have that number.

4 MS. OLIVER: Okay. That's fine. Thanks.

5 MR. DELLA TORRE: Question 7: Did KPMG
6 Consulting take into consideration nonflow-through
7 ordering scenarios when determining the accuracy of
8 Qwest's existing flow-through documentation? The
9 answer is, yes. We established our expected
10 flow-through results for all of our test scenarios and
11 LSRs submitted as a result.

12 Question 8: Did KPMG Consulting evaluate
13 how the percentage of orders submitted via IMA EDI,
14 which did not flow-through, impacts CLECs. The answer
15 is, no.

16 Question 9: Clarify if the inaccurate
17 flow-through indicators, which caused some resale UNE-P
18 and UNE-L and standalone IMA EDI orders, which were
19 expected to flow, to drop out, refers to flow-through
20 indicators within Qwest's documentation. And that is
21 not exactly correct. The flow-through indicators that
22 we're referencing here are the daily Qwest flow-through
23 reports that we received as part of the test design.

24 MR. WEEKS: It's just -- there's
25 indicators on that special report that you would

1 receive. And sometimes, what Qwest reported to us in
2 those special reports, was not accurate. That's what
3 we're referring to in that section of the report.

4 MR. DELLA TORRE: Question 10: How is it
5 decided when to implement system changes to provide IMA
6 EDI resale flow-through, as indicated on Qwest's
7 documentation, and when to update Qwest's documentation
8 to correct flow-through as documented. And, in fact,
9 we have no insight into Qwest's decision-making process
10 for selecting or implementing fixes to identify
11 problems, whether they chose to change documentation or
12 systems. We would only know as an end result. We
13 would not know why they made that decision initially.
14 And, in fact, that answer applies to -- that answer
15 applies to Questions 10, 12, 14, 19, 21, and 22. There
16 will be a quiz at the end.

17 MR. WEEKS: Want us to go through those
18 numbers again, so you can keep track as you go?

19 MR. DELLA TORRE: I would take them off as
20 we go through.

21 For Question 11: Did KPMG Consulting
22 identify the root cause for the errors included in the
23 Qwest flow-through reports for the IMA EDI resale
24 orders? If so, what was the root cause. In fact, we
25 did not do any root cause analysis of errors contained

1 on the Qwest flow-through report. And, again, that's a
2 repeating question for -- the same answer would apply
3 to Questions 11, 13, 15, 16, 20, 23 and 24.

4 MS. OLIVER: Becky Oliver, WorldCom.
5 What was the reason for just saying there's an error
6 and leaving it at that, rather than investigating it
7 and determining the root cause? It seems like an error
8 on the flow-through report would indicate some error or
9 problem in how Qwest is capturing and tracking
10 flow-through.

11 MR. WEEKS: It's not how they capture and
12 track flow through, per se. It's how they report to us
13 what -- how a particular order behaved, since that was
14 kind of an ad hoc report; that was created especially
15 in -- dynamically to the test. It wasn't a systematic
16 part of Qwest's normal reporting. We wouldn't have
17 held it to any kind of standard like that.

18 MR. DELLA TORRE: Additionally, there may
19 be some assertions made by Qwest as to what the
20 underlying root causes may have been for the problems
21 encountered with the flow-through report. We're
22 attempting to uncover an observation or exception
23 number that would point you to Qwest's response as to
24 identifying potential root causes. So, let's just get
25 into an accounting, while we are looking for that, of

1 the following questions. Thirteen was covered.
2 Fourteen was covered. Fifteen and 16 were covered.
3 Seventeen and 18, 19, 20, 21, 22, and I think we might
4 be done with 23 and 24.

5 MR. DIXON: Mike, Tom Dixon. Can you
6 just run through the cross-reference questions? I know
7 you said they are done, just so we can --

8 MR. WEEKS: Let's take them all.

9 MR. DELLA TORRE: We'll go through that
10 again. The answer provided to Question No. 10 was that
11 we did not have insight into Qwest's decision-making
12 for determining whether it was a system or
13 documentation error. Those relate to Questions 12, 14,
14 19, 21, and 22.

15 MR. WEEKS: So those 10, 12, 14, 19, 21
16 and 22 are all the same answer.

17 MR. DELLA TORRE: And the same process is
18 true for Question No. 11. The response that we did not
19 assess impact to CLECs is also true for Questions 13,
20 15, 16, 20, 23, and 24.

21 MS. THIELEMANN: That leaves 17 and 18,
22 right? I was circling when you were saying those.

23 MR. DELLA TORRE: Yes.

24 Question 17: Did KPMG Consulting
25 evaluate how the percentage of orders submitted via IMA

1 GUI, which did not flow-through, impact CLECs? Answer
2 is, we did not. And 18 --

3 MS. THIELEMANN: Is it still the same as
4 other earlier questions? There was a different earlier
5 question.

6 MR. DELLA TORRE: We covered 17 and 18 as
7 well. Just back to that other issue. As a reference
8 point, Exception 3119. I believe there was a
9 discussion there for inaccurate flow-through reporting.
10 Other questions on Test 13?

11 Okay. Give us a moment to switch up
12 personnel, and we'll move to Test 23.

13 (Pause.)

14 MS. ANDERSON: Okay. So, I think we're
15 ready to roll.

16 MR. DELLA TORRE: Okay. Folks, we want to
17 get started with Test 23. So, let's start with the
18 Washington questions for Test 23.

19 MR. WEEKS: Test 23 pretty much kind of
20 split half and half and half. Five of the evaluation
21 criteria were in the report as unable to determine,
22 and almost all of those are recommended to be concluded
23 as closed inconclusive on 3110, 3111, or closed
24 unresolved on 3094. That was stated at the time we
25 produced the draft final report.

1 WorldCom set of questions.

2 Question No. 1: Has Qwest accepted the
3 Colorado decision that PID/PAP changes are excluded
4 from the regulatory change definition for all 14
5 states? The answer is, yes.

6 Question 2: Are regulatory and industry
7 guideline changes now subject to prioritization by
8 CLECs? The answer is, yes. If so, please describe
9 KPMG Consulting's understanding of the prioritization
10 process for regulatory and industry guideline changes.
11 Regulatory and industry guideline changes are subject
12 to prioritization with Qwest, and CLECs, under certain
13 conditions, as specified in the draft CMP document.
14 Additional detail only if the change is not mandated to
15 be implemented in the next release, and there is some
16 flexibility for when the change is required or
17 recommended to go into effect.

18 In addition, either a CLEC or Qwest may
19 initiate a regulatory or industry guideline change,
20 with substantiating material. That comes from Section
21 5.1 and 10.1 of the master red-line CMP document.

22 Question 3: Please describe KPMG
23 Consulting's understanding of the SCRCP, and how is it
24 an exception to the prioritization process. SCRCP
25 refers to the Special Change Request Process. It is

1 our understanding that Qwest and CLECs have agreed that
2 if a system CR, deemed critical to either Qwest or
3 CLEC, has not been ranked high enough during the
4 prioritization process, a party may choose to pay for
5 the cost of hiring additional resources so that the CR
6 will be implemented with our prioritized CRNA upcoming
7 software release.

8 Question 4: Has the SRCP or SCRP, been
9 used during your evaluation of CMP? The answer is, no.

10 Question 5: The answer to the previous
11 question is, no; and, therefore, not applicable.

12 Question 6: Did KPMG Consulting observe
13 the, "packaging" process used by Qwest after CRs were
14 prioritized? The answer is, yes.

15 Follow-on question: If the answer is,
16 yes, what did KPMG Consulting observe and did Qwest
17 comply with the identified process? Qwest conducted
18 packaging activities for IMA Release 10, prior to Qwest
19 and CLECs completing the discussions and negotiations
20 about the prioritization process. Hence, KPMG
21 Consulting was unable to observe Qwest's adherence to
22 the complete end-to-end prioritization process for
23 major system release as defined by the redesigned CMP.
24 So, there is packaging, but we have not seen it, start
25 to finish.

1 Question 9 -- actually, Question 8: Did
2 KPMG Consulting observe the process for changing an
3 existing EDI interface? The answer is, yes.

4 Follow-on question: What did KPMG
5 Consulting observe and did Qwest comply with the
6 identified process? KPMG Consulting observed that,
7 prior to April 2002, Qwest did not consistently comply
8 with the identified process. As a result, we raised
9 Exception 3110 for results around IMA 6.0 and 9.0
10 interval adherence. And, as discussed by Mike earlier,
11 Exception 3110 remains open; and, therefore, we have
12 not completed our evaluation of the issues identified
13 in this exception.

14 Question 10: Did KPMG Consulting
15 evaluate the WSHD activities in support of production
16 support? And the answer is, yes.

17 Follow-on question: What did KPMG
18 Consulting observe, and did Qwest's WSHD comply with
19 the identified procedures and processes? WSHD
20 activities were evaluated as part of Test 24.7,
21 although specifically the production support issues
22 were considered as part of change management or Test
23 23. We did identify issues related to the production
24 support and issued Exception 3112, Observation 3073 and
25 Observation 3103. Observation 3073 and Exception 3112

1 are actually closed. Observation 3103 was closed as
2 inconclusive, as we were unable to verify the steps
3 that Qwest took to address the identified issue.

4 Question 12: Did KPMG Consulting
5 evaluate the interim process implemented on April 1,
6 2002, that governs Qwest's initiated product process
7 changes? At the time the draft report was released, we
8 had not evaluated the interim process. However,
9 beginning April 25, of 2002, we did evaluate the
10 modified interim process as part of the Exception 3094
11 retest activity, which is ongoing. That is also the
12 answer for Question 13.

13 Question 14: Please summarize any CLEC
14 comments about Qwest's redesigned CMP that KPMG
15 Consulting evaluated? We have not summarized any CLEC
16 comments, but we would refer any interested party to
17 the work paper set for additional information on
18 information provided to us by participating CLECs.

19 Question 15: Please summarize any HP
20 comments about Qwest's redesigned CMP that KPMG
21 Consulting evaluated? KPMG Consulting did not seek HP
22 comments about Qwest's redesigned CMP, as HP is not an
23 active participant in the CMP redesign activities.

24 Question 16: What essential components
25 did KPMG find are missing from Qwest's CMP? And as

1 that question is fairly high level, we would prefer to
2 refer you to the observations and exceptions listed in
3 each of the criteria of this report section.

4 MS. OLIVER: Becky Oliver, WorldCom. Can
5 I go back and ask a follow-up on Question 14? The
6 response refers parties to work papers, and said that
7 no summary was done on the CLEC comments. Does that
8 mean that we will -- let me just put it this way: How
9 did KPMG then use the CLECs' comments that exist in the
10 work papers?

11 MR. DELLA TORRE: As part of our testing,
12 we interviewed a number of CLECs with regard to the
13 Change Management Process. However, as this scope of
14 the Vendor Technical Conference is the draft final
15 reports, and we have, in fact, different questions that
16 relate to specific CLECs and their input, as that is
17 really a confidential piece of information -- in fact,
18 I don't recall the question.

19 I recall a question from Montana
20 yesterday, I believe, where we are willing to provide
21 that information specifically to the Montana staff and
22 commission off-line. WorldCom has every right to
23 review the work papers and assess that. But as that
24 information is not contained in the draft final report,
25 it's not a question to be addressed in this technical

1 conference.

2 MR. WEEKS: I can give you a general
3 answer as to how we use that information, and there are
4 several places in our report where we describe that
5 use.

6 Fundamentally, what we do when we
7 interview CLECs is try to understand what questions or
8 issues or problems or concerns that CLECs have with
9 whatever document or process or interface that is under
10 review. And we take that under advisement and factor
11 those things into the work that we do, and the
12 evaluations that we make, and the types of questions
13 and investigations that we do. So, there's not a
14 specific reliance in the sense that our result is based
15 upon that input in a direct way. It's more of a, what
16 sort of things should we be thinking about as we go
17 through this. And, you know, it's an attempt to make
18 sure we haven't missed my issues or missed any topics.

19 MR. DIXON: Is this on? Okay. This is
20 Tom Dixon. With respect to Question 15, which you were
21 just on, you have indicated you did not seek any
22 comments from HP. And that caused me some confusion,
23 because, in the last paragraph of Section 2.4, under
24 evaluation methods for this test, it says, "KPMG
25 consulting also interviewed Hewlett Packard Consulting

1 representatives who were knowledgeable about Qwest's
2 CMP."

3 So, it seemed to me that your answer is
4 inconsistent with what's stated here.

5 MR. DELLA TORRE: The difference being
6 that's the redesign, where that -- the interviews that
7 we're referencing are much earlier in the process.

8 MR. DIXON: Thank you.

9 MR. DELLA TORRE: And just as a matter of
10 point. For the CLEC participation in the redesign
11 effort, those are contained in publicly available
12 minutes, and I can't reference the Website, but I am
13 sure Andy can.

14 MR. CRAIN: Actually, I am sure Judy can.

15 MS. SCHULTZ: It's
16 [HTTP://www.Qwest.com/wholesale/CMP](http://www.Qwest.com/wholesale/CMP). And then if you
17 go -- if you click on "redesign," that's where the
18 information resides.

19 MR. WEEKS: That's a useful
20 clarification, because a lot of what we perceive CLECs
21 think about the Change Management Process has been
22 derived, not from private conversations in back rooms,
23 but from sitting and listening to the CLECs in this
24 open forum.

25 MR. DELLA TORRE: Question 18: Describe

1 the disagreement between Qwest and CLECs regarding the
2 scope and effective date of incremental changes
3 implemented through the redesign meetings. And, again,
4 this really isn't the subject of the report, but,
5 rather, is a subject for the redesign sessions, and we
6 would refer folks to that same forum.

7 Question 19: It is WorldCom's
8 understanding that KPMG Consulting is conducting a
9 retest of matters addressed in Exception 3094. If so
10 please provide the extent and any results of the
11 retest. As mentioned earlier, this is ongoing.

12 Question 20: Is KPMG conducting any
13 retesting of matters raised in Exception 3111? If so,
14 please provide the extent and any results of the
15 retest. And the answer is, we are not conducting any
16 retest activities for Exception 3111. It remains
17 closed, inconclusive.

18 Question 21 is the same question, but
19 regarding Exception 3110. And, again, the retesting
20 efforts are ongoing.

21 Question 22: To the extent KPMG
22 Consulting is retesting any matters relevant to Test
23 23, did KPMG seek any further CLEC input? And to
24 expand on or emphasize Mike's point moments ago, we
25 continue to incorporate CLEC positions on these matters

1 through the public forum of the redesign sessions, but
2 we have not sought any additional independent meetings
3 or interviews with the CLECs; therefore -- that covers
4 Question 23.

5 Question 24: To the extent KPMG
6 Consulting is retesting any matters relevant to Test
7 23, did KPMG Consulting seek any further HPC input?
8 And the answer is, no, which covers, also, Question 25.

9 Question 26: Is KPMG Consulting
10 conducting any other retests of matters relevant to
11 Test 23? The answer is, no.

12 Turning to AT&T Question No. 1: KPMG
13 states, "The above four change types became effective
14 in late 2001." Is it correct that the four change
15 types were defined as CMP change type categories in
16 late 2001? And the answer is, yes. The four change
17 types were defined as CMP change type categories in
18 late 2001.

19 MR. WEEKS: September 20th is late.

20 MR. CONNOLLY: We're looking for, you
21 know, that sort of time frame. I guess, part of the
22 question is that it's our understanding that CLECs
23 would make requests for change along these lines. They
24 may not have been categorized as those as far as
25 discipline of the CICMP went, but, nonetheless, the

1 questions came forward. So, direct, formalized
2 categorization of those; that occurred with the --
3 September 2001?

4 MR. WEEKS: I think the formalization of
5 the four categories was roughly September 20th.

6 MR. CONNOLLY: Great. Thanks very much.

7 MR. DELLA TORRE: Question 2: Please
8 provide the list of the parties that stipulated to the
9 CMP requirement for procedures to contact the CLEC when
10 Qwest declines a CLEC-initiated CR. Again, we would
11 refer folks to the Qwest wholesale Website, and the CMP
12 redesign sessions, which are recorded and distributed
13 via E-mail, also made available on the Website.

14 MR. WEEKS: The public records where
15 we're going to reference you to, we don't have that
16 list.

17 MR. CONNOLLY: It is it your
18 understanding there was a stipulation among the
19 parties?

20 MR. WEEKS: (Nodding in the affirmative.)
21 That's our understanding.

22 MR. YEUNG: Yes.

23 MR. WEEKS: By stipulation, we don't mean
24 that in the legal sense. We meant agreement.

25 MR. CONNOLLY: And this statement here

1 means that that is documented -- that procedure is
2 documented with the CMP?

3 MR. YEUNG: Yes.

4 MR. WEEKS: Yes. That's our
5 understanding.

6 MR. CONNOLLY: Thanks.

7 MR. DELLA TORRE: Question 3: Please
8 explain the testing that KPMG Consulting conducted to
9 verify that changes are not made to Qwest's OSS that
10 have impact on CLEC systems and operations where no
11 notice is provided to CLEC. We did not conduct
12 exhaustive testing activities to specifically uncover
13 unnoticed or nonnoticed CLEC impacting changes. We did
14 become aware of such changes through CLEC reports, and
15 by observing the P-CLEC, and reviewing HP observations
16 and exceptions related to this type of condition.

17 KPMG formally identified an Observation
18 3066; that Qwest did not consistently inform CLECs of
19 CLEC-impacting changes in the point release versions of
20 IMA. We also identify an Observation 3074; that Qwest
21 did not notify CLECs of changes that resulted from the
22 bill rate validation.

23 MR. WEEKS: Look at 23/6, criteria. We
24 outlined some of that.

25 MR. DELLA TORRE: However, we did not

1 validate non or unnoticed conditions in any exhaustive
2 way.

3 MR. DIXON: Joe, what was the first cite?
4 The first exception --

5 MR. DELLA TORRE: Observation 3066 and
6 Observation 3074.

7 MR. DIXON: Thank you.

8 MR. DELLA TORRE: Other questions on Test
9 23? Thank you all.

10 MS. ANDERSON: Well --

11 MR. WEEKS: Shall we start on tomorrow?

12 MS. ANDERSON: I was just going to
13 suggest that, because we have a full day tomorrow.
14 Would HP be prepared to maybe knock off Number 24.8?

15 MR. DIXON: How about 24.6?

16 (Discussion off the record.)

17 MS. ANDERSON: Give us a minute here.
18 Okay. We have a plan. Unfortunately, Tom, we are
19 short a body that would be required for this, and, so,
20 we won't be able to comply with your request.

21 MR. DIXON: Maybe I will just listen in
22 by phone tomorrow.

23 MS. ANDERSON: So, what we can do is
24 24.7. So, KPMG is going to dive into that here, in a
25 moment.

1 MR. DELLA TORRE: Okay. We'll get started
2 with Test 24.7. And I suppose we can start with AT&T
3 questions for 24.7. I hear a lot of paper shuffling,
4 so I will wait a couple of minutes while people get
5 squared away.

6 Okay. You know, we can probably get
7 started on 24.7, with the Washington questions.

8 MR. WEEKS: 24.7, all of the criteria are
9 satisfied, so there's nothing that falls into any of
10 the categories. I think you are interested in having
11 us talk about, if they existed. There are not any
12 Washington specific rules as -- to report on this. And
13 there aren't any open observations or exceptions on
14 this.

15 MR. DELLA TORRE: Okay. Great. AT&T
16 Question No. 1: AT&T notes that there are several
17 appearances of "WHSD" in the section that should be
18 changed to "WSHD." We will make that change.

19 Question 2: In what way does the
20 escalation of a trouble ticket affect the severity
21 level originally assigned to the trouble ticket? And
22 it's our understanding that those are two independent
23 activities, the assignment of a severity level and the
24 escalation. The escalation can be initiated by either
25 the call rep or the CLEC. But it is the handler of

1 that ticket that assigns the severity code, and those
2 are, in fact, two independent activities.

3 MR. CONNOLLY: Is it the case that a
4 severity code -- a severity level can be changed by
5 subsequent handlers of that trouble ticket?

6 MR. DELLA TORRE: Yes. Question 4:
7 Please describe the Help Desk Management Review Process
8 that was observed by KPMG Consulting. Provide KPMG
9 Consulting's evaluation of the adequacy of the Help --
10 I skipped 3.

11 MR. CONNOLLY: Back to 3.

12 MR. DELLA TORRE: My apologies. What
13 processes and procedures are involved in the changing
14 of the severity level of a trouble ticket? And, during
15 the initial trouble call, if the HDP confuses the
16 assigned severity level, with the caller, Qwest will
17 change the severity level of that trouble ticket, if
18 the HDP made a mistake in categorization.

19 MR. WEEKS: The CLEC can also initiate a
20 request to have the severity level modified as well.

21 MR. CONNOLLY: So, in the case of --
22 let's take the escalation process, because that's
23 probably fairly typical for this scenario; that the
24 service problem is such that CLEC calls and raises the
25 temperature. During that interchange, CLEC says,

1 there's a triage process, where the patients that are
2 more terminal get handled before the ones that are just
3 kind of slightly sick. Is that the question?

4 MR. CONNOLLY: Yes.

5 MR. WEEKS: I think the answer is, yes,
6 that they do. They work the higher severity problems
7 on a -- more aggressively than they work the lower
8 severity problems.

9 MR. CONNOLLY: I'm just trying to clear
10 up -- you had said that the severity level reflects the
11 importance or significance of that trouble to the CLEC.
12 It also has an --

13 MR. WEEKS: -- implication as to how it
14 gets handled inside Qwest.

15 MR. CONNOLLY: How they work it. Great.
16 Thanks.

17 MR. DELLA TORRE: That would be by
18 referring it to different personnel, more so than
19 putting it higher in the queue for the same personnel.

20 MR. CONNOLLY: Understand.

21 MR. DELLA TORRE: Question 4: Please
22 describe the Help Desk Management Review Process that
23 was observed by KPMG Consulting. Provide KPMG
24 Consulting's evaluation of the adequacy of the Help
25 Desk Management Review in terms of contribution to

1 quality-of-service principles, in general, and to meet
2 KPMG Consulting's reasonable standards for process
3 competence. We would refer you, in Section 3.1 of the
4 report, to criteria 24.7.8, 24.7.11, and 24.7.13.

5 MR. WEEKS: These are various aspects of
6 sort of the management controls that we saw, or we were
7 looking for, as we went through it. So, 24.7.8 says
8 the process includes procedures for tracking status
9 management reporting and management intervention. And
10 in the comment section there, it talks about Qwest Help
11 Desk Managers utilize call management reports from the
12 ACD, and so on. That's one of the criteria, where we
13 look at the -- sort of what management controls exist
14 on top of the fundamental baseline process that's in
15 place. So that's 8.

16 Eleven talks about process performance
17 measures are defined, measured and reviewed. This is
18 where I hate to call it, "standard," but expectations
19 are set for how the process needs to operate. And
20 there's control feedback loops where the management
21 team is looking at how the process operates to make
22 sure that the process is meeting the goals.

23 And 13 talks about process improvement
24 responsibilities are assigned and applied. So, this is
25 some sort of commitment, on the company's part, to

1 continuous improvement mechanisms so the process gets
2 better and better. So, those are the aspects that we
3 specifically evaluated, that we think address the
4 question you asked. Is there something beyond that?

5 MR. CONNOLLY: No. What I was trying to
6 get at was an understanding of the management model,
7 the paradigm that you had structured. And it seems
8 what you suggested was, going through your evaluation
9 criteria gives the reader an --

10 MR. WEEKS: Appreciation.

11 MR. CONNELLY: -- an appreciation of what
12 that --

13 MR. WEEKS: Kind of a management
14 paradigm.

15 MR. CONNOLLY: All right. Thanks.

16 MR. DELLA TORRE: Question 5: Please
17 explain the reasons the CLEC receives a new trouble
18 ticket number in the case of a need to seek further
19 resolution of an earlier reported trouble ticket. If
20 the CLEC issue reported on the initial call was not
21 successfully resolved, the CLEC is given a trouble
22 ticket number to reference for a requesting trouble
23 status. And the issue here is, really, whether the
24 ticket is open or closed. If a trouble ticket is
25 closed, then any future calls that may relate to that

1 issue raised in the original trouble ticket, because
2 the first trouble ticket was closed, a new trouble
3 ticket will be issued. If, however, the original
4 trouble ticket that was opened is not closed, then that
5 certainly continues to be the reference. And the
6 closure of that initial ticket is made in conjunction
7 and agreement with the CLEC during that call.

8 MR. WEEKS: In other words, Qwest doesn't
9 unilaterally close the tickets.

10 MR. DELLA TORRE: Once it's closed, you
11 will get a new number, if you call again later.

12 MR. CONNOLLY: I was concerned about the
13 circular nature that's conveyed by this statement; that
14 if the CLEC calls to escalate or inquire about an
15 existing ticket, why would there need to be another
16 ticket issued?

17 MR. WEEKS: There won't.

18 MR. CONNOLLY: It indicates that, where
19 that prior ticket had been closed --

20 MR. WEEKS: By agreement with the CLEC.

21 MR. CONNOLLY: -- that a new trouble
22 ticket --

23 MR. WEEKS: So, I thought I had the
24 problem fixed. I agreed to close the problem. I
25 subsequently discover it doesn't look like it's really

1 patch --

2 MR. WEEKS: The request is closed as
3 patches go over into change management.

4 MR. CONNOLLY: As a patch is necessary,
5 and throw it into --

6 MR. DELLA TORRE: Internal CR, yes.

7 MR. WEEKS: The leakage between we saw as
8 part of this test, which the heavy disposition of
9 trouble -- not trouble, but tickets being -- there
10 needs to be a software patch, a CR. As part of the
11 Change Management Process, we saw those kinds of
12 changes coming into the Change Management Process.
13 Those requests were -- for patches were patches coming
14 out of the Help Desk operations, coming into the change
15 management, in fact, are worked into the Change
16 Management Process.

17 MR. CONNOLLY: To apply the patch.

18 MR. WEEKS: Yes, or to consider the patch
19 in the way that it would normally be considered, in
20 light of everything else that's going on.

21 MR. CONNOLLY: Separate from the
22 implementation of the permanent fix to replace a patch.

23 MR. WEEKS: That would come through the
24 other Change Management Processes that already exist.

25 MR. CONNOLLY: Test 23?

1 MR. WEEKS: Right.

2 MR. CONNOLLY: These sort of patch
3 requests --

4 MR. WEEKS: The handoff, if you will,
5 between the Help Desk and the change management people
6 and software engineering people that sit behind the
7 Change Management Process, we saw all of those
8 handoffs.

9 MR. CONNOLLY: If we have a problem with
10 the system that necessitates a patch, which has the
11 implication to me that it's a quick fix, necessary for
12 a ticket, depending on the severity of the problem,
13 would that request for patch get processed through?

14 MR. WEEKS: It would be an internal CR.

15 MR. CONNOLLY: Does it go to CMP as a
16 CLEC request or as a Qwest change?

17 MR. WEEKS: Qwest internal CR.

18 MS. NOTARIANNI: Tim, I think the
19 assumption that a patch is a temporary fix is maybe a
20 semantics issue. A patch isn't necessarily a temporary
21 fix. And, in fact, in most cases, when they say it's a
22 patch, it's an, essentially, a software bug they are
23 fixing.

24 So, I wouldn't make the assumption that
25 you started out with, that all patches are temporary,

1 and there needs, subsequent to that, to be a CR that's
2 introduced to make a more permanent fix.

3 MR. CONNOLLY: Okay. Thanks. To create
4 the patch, my understanding, we have to get some
5 analysts and programmers and sit down and write some
6 codes to implement the change that's necessary to
7 resolve the problem.

8 MS. NOTARIANNI: That's correct.

9 MR. CONNOLLY: Is the work that those --
10 that results from that, is that a dot release charge?

11 MR. WEEKS: In what context do they
12 implement those? Do they just slam them in or do they
13 wait for a dot release? How does that work?

14 MS. NOTARIANNI: This is the easy answer.
15 It could be either. It depends on what it is that is
16 being fixed. So, depending on the severity of it. If
17 it's something that, you know, your system is down and
18 you need to fix, and they need to put in that patch,
19 they are going to do it immediately, and it's not
20 really a patch point release. There could be things
21 that are -- such that they go into a package release.

22 MR. CONNOLLY: For the CRs -- for the
23 patches that are going to go into that package release,
24 are those prioritized amongst all other CRs for that
25 package release?

1 MS. NOTARIANNI: Yes.

2 MR. CONNOLLY: Are they brought in as
3 Qwest CRs?

4 MR. CRAIN: I think we need to clarify
5 that, for a point release, there is not a
6 prioritization process. And some things that end up in
7 point releases result from earlier prioritization
8 processes. Everything that goes into a point release
9 isn't necessarily part of a prioritization process.
10 How these changes in CRs are handled that result from
11 these problems has been fully worked out, and the
12 communications fully worked out in the change
13 management redesign process. Parties agreed upon that
14 process and how these are being handled, as part of the
15 Production Support Process that we implemented.

16 MR. CONNOLLY: What I am trying to make
17 sure I understand is that a CR is a CR is a CR.
18 There's not different types of CRs that go around the
19 CMP? Is that -- my understanding correct?

20 MR. CRAIN: An internal -- a CR for a
21 change to the interfaces is not necessarily the same
22 thing as changes that are made through the Production
23 Support Process.

24 MR. WOODHOUSE: Rick Woodhouse, KPMG
25 Consulting. Tom, our understanding is that a low

1 severity 3 or 4 patch release doesn't necessarily
2 become a CR unless the CLECs agree to it. There is a
3 list that is actually provided to the CLECs at the CMP.
4 And if a CLEC wants to champion one of those lower
5 severity changes, if everyone agrees -- if they agree,
6 they can actually terminate the CR. It doesn't
7 necessarily become a CR automatically.

8 MR. CONNOLLY: Is it your understanding
9 that a patch becomes a CR in all cases?

10 MR. WOODHOUSE: Not necessarily.

11 MR. CONNOLLY: Does the trouble report to
12 the Help Desk that causes a patch to be written require
13 a CR?

14 MR. WOODHOUSE: Do you mean external CR
15 or internal? Because you have to define, because the
16 term "CR" is used at Qwest both for internal changes as
17 well as external changes.

18 MR. CONNOLLY: For this case, where
19 there's a problem that a CLEC has detected, calls the
20 Help Desk or the right wholesale --

21 MR. WEEKS: Systems Help Desk.

22 MR. CONNOLLY: Needs to have a fix made
23 for this problem, or the Qwest technicians determine
24 that there's a need for a fix. That person generates a
25 CR and then the patch is written on the basis of that

1 CR?

2 MR. WOODHOUSE: I think the answer to
3 your question, if it is CLEC-impacting, it will go
4 through CMP. There is criteria set for determining
5 whether it is CLEC-impacting.

6 MR. CRAIN: Tim, a lot of confusion here
7 is, you are throwing around the term, "CR." And keep
8 in mind that everything in the world that is called a
9 "CR" internally at Qwest doesn't necessarily result in
10 a CR that is prioritized to the Change Management
11 Process. How some things are handled through the
12 Production Support Process is different from how things
13 are handled through the Change Request Process.

14 So, fixes that are handled through the
15 production support, and the communications that are
16 involved there, are handled in not necessarily the
17 exact same way as CRs, for the purposes of what CRs --
18 the term "CR" is used for in the Change Management
19 Process.

20 MR. WEEKS: Let me ask a question, based
21 on what Rick said. If there's a need for the patch
22 that is CLEC-affecting, because it changes the
23 definition of the interface, would there be an external
24 change-management-oriented CR generated prior to having
25 that patch introduced into the software?

1 MR. CRAIN: To be honest, we don't have
2 the person here from Qwest who really --

3 MR. DIXON: Jeff.

4 MR. CRAIN: Jeff will be here tomorrow to
5 address this, if we can come back tomorrow and address
6 this issue.

7 MR. WEEKS: Is that okay?

8 MR. CONNOLLY: That will be fine.

9 MR. DELLA TORRE: Okay. Question 7: KPMG
10 Consulting reports the Help Desk Standard Operating
11 Procedures included a defined set of procedures
12 available for HDPs to conference up to six parties on a
13 given Help Desk call. This option is only available if
14 the HDP has no other calls in the queue and has need
15 for additional support from other HDP or Subject Matter
16 Experts. Please provide an explanation for the
17 described "queue," and indicate whether this is a queue
18 for each HDP.

19 The term, "queue," refers to the number
20 of calls not yet answered and awaiting HDP's answer.
21 The queue, however, is available for all HDPs and not
22 one specific HDP.

23 MR. WEEKS: Basically, the ACDQ.

24 MR. CONNOLLY: That's what I was thinking
25 too.

1 MR. DELLA TORRE: Question 1 from
2 WorldCom: If the HDP is unable to resolve the issue
3 when the CLEC calls in the trouble, is the personnel at
4 the time -- is the issue, at the time, passed to Tier 2
5 or Tier 3 personnel, or does the HDP make additional
6 attempts to resolve the issue before transferring? The
7 answer is if the HDP is unable to resolve the issue, he
8 or she will transfer the ticket to Tier 2 or to Tier 3.

9 Question 2: How are Status
10 Notifications, both ticket and event, provided to
11 CLECs, and does the Help Desk track Status
12 Notifications? HDP provides status notifications for
13 individual trouble tickets through follow-up phone
14 calls made to the appropriate CLEC trouble ticket
15 contact. Status notifications for system events are
16 provide via E-mail to the CLEC community.

17 Additionally, CLECs may call the Help
18 Desk and select Option No. 2 for the listing of the
19 current system outage notifications. These
20 notifications are updated with the status for system
21 events affecting multiple CLECs. For both cases, the
22 Help Desk does track the status of those notifications,
23 or, rather, does track status notifications.

24 Question 3: What Qwest representatives
25 receive Help Desk Status Notifications? And those

1 status notifications are sent to the originating HDP.
2 Additionally, Qwest maintains an internal notification
3 system used to distribute status updates for system
4 outages via pager to various internal groups.

5 Question 4: Are Tier 2 and Tier 3
6 individuals dedicated to working on Help Desk issues?
7 There are Tier 2 and Tier 3 individuals assigned to
8 work on Help Desk issues.

9 MR. WEEKS: But they are not dedicated.

10 MR. DELLA TORRE: But they are not
11 dedicated.

12 MR. CONNOLLY: Sort of the *laissez-faire*
13 attitude about those people.

14 MR. WEEKS: No comment.

15 MR. DELLA TORRE: Question --

16 MR. WEEKS: They can have other job
17 assignments and responsibilities many times, especially
18 Tier 3 people are SMEs, and get roped into solving
19 particularly complex or thorny problems that they get,
20 either kicking or screaming, willingly, as it is, into
21 the resolution of a problem.

22 MR. DELLA TORRE: Question 5: Did KPMG
23 Consulting conduct its walk-through and observation of
24 Thornton's Help Desk location in a manner that was
25 blind to the Help Desk personnel? The answer is, no.

1 The fact that we were there means that they probably
2 know who we were.

3 MR. WEEKS: We had our Harry Potter
4 capes.

5 MR. DELLA TORRE: Question 6: Did the
6 Help Desk documentation include expectations or
7 guidelines for Tier 2 and Tier 3 support personnel?
8 The answer is, yes.

9 Question 7: During KPMG Consulting's
10 on-site Help Desk visit, in addition to verifying that
11 Qwest supplied CLECs with the ticket number at the time
12 the trouble was called in, did KPMG Consulting also
13 verify that Qwest provided the severity level of the
14 ticket to the CLEC at the time the trouble was
15 reported? The answer is, yes.

16 MS. OLIVER: We'll give it a try. Becky
17 Oliver, WorldCom.

18 (Discussion off the record.)

19 MR. DIXON: Let Joe calm down. He's
20 about as red as a beet.

21 MR. DELLA TORRE: Moving along.

22 MS. OLIVER: Follow-up on Question 6:
23 Can KPMG provide an overview of what the expectations
24 or guidelines are for the Tier 2 and Tier 3 support
25 personnel in the Help Desk documentation?

1 MR. DELLA TORRE: Yes. The Tier 2 and
2 Tier 3 support personnel have a reference guide, which
3 is -- establishes expectations and guidelines for
4 subjects, such as how to go about investigating the
5 trouble, providing status notifications, how to go
6 through escalations, how to go through the closure
7 procedure.

8 MS. OLIVER: Is there anything in those
9 guidelines that talks about prioritization or is it
10 first-come first-serve?

11 MR. WEEKS: The answer is yes, there is
12 information about prioritization.

13 MR. DELLA TORRE: Question 8: Did KPMG
14 Consulting's on-site Help Desk observations of periodic
15 status calls being provided for CLECs include an
16 assessment that status calls were occurring during the
17 specified status notification intervals? The answer
18 is, no.

19 Question 9: Approximately what
20 percentage of troubles reported by the P-CLEC were
21 resolved by the Tier 1 HDP as opposed to being resolved
22 by either Tier 2 or Tier 3 support personnel? And we
23 do not have the information to answer that question, as
24 we typically didn't generate those calls, and we did
25 not track who was answering those calls. I believe the

1 same can be said for HPC.

2 MR. MAY: That's correct.

3 MS. OLIVER: Becky Oliver, WorldCom.

4 Does the P-CLEC have some, based on your experience,
5 some idea of -- I mean, if you don't have an
6 approximate percentage, was it your experience that a
7 majority of the calls were resolved by the Tier 1 or
8 that the majority of the calls had to be referred to
9 Tier 2 and Tier 3?

10 MR. MAY: No. The P-CLEC does not have
11 that data.

12 MR. DELLA TORRE: Question 10: What
13 happens to IT troubles that are closed with the date
14 to-be-determined disposition code? Specifically, does
15 the Help Desk continue to track the issues until they
16 are resolved? Our answer is that the Help Desk does
17 not track the trouble ticket after it is closed.

18 MS. OLIVER: Becky Oliver, WorldCom.
19 Follow-up, then. I guess I am just -- this question is
20 trying to get a better understanding of the disposition
21 code date TBD, and what does that really mean for an IT
22 trouble being closed with that disposition code?

23 MR. DELLA TORRE: It is our understanding
24 that all troubles that are closed with the date TBD
25 disposition are actually moved into the CMP process.

1 MS. OLIVER: Can Qwest confirm that?

2 MS. NOTARIANNI: This is Lynn Notarianni.
3 That's also our understanding, but we certainly can go
4 back again and validate that. That was our
5 understanding of it as well.

6 MR. DELLA TORRE: Question 11: Did KPMG
7 Consulting evaluate the adequacy of the four
8 disposition codes used to close IT trouble tickets?
9 And the four disposition codes were the result of the
10 CMP redesign collaborative sessions, and we did review
11 those disposition codes and determine that the coverage
12 of those codes were adequate.

13 MR. WEEKS: By that, there weren't any
14 kinds of problems or issues that didn't fit reasonably
15 well into those four codes. That's not a statement
16 that, if we were to design ourselves, we might design
17 exactly that or something different. It's just kind of
18 a problem issue that we were aware of, could be put
19 into the code, and because it had been collaboratively
20 determined, we said, that's good enough.

21 MS. OLIVER: Understand.

22 MR. DELLA TORRE: Other questions on Test
23 24.7? Thank you very much.

24 MS. ANDERSON: Okay. I have been
25 informed by HP that you can jump into 24.8. Want a

1 two-minute break?

2 (Recess.)

3 MS. ANDERSON: Let's take our seats.

4 MR. MAY: Okay. Geoff May with HP. And
5 these are -- we're starting with AT&T questions on Test
6 Report 24.8.

7 Question No. 1: Please clarify the
8 origin of the term --

9 MR. DELLA TORRE: Questions 1 and 2 will
10 be deferred until tomorrow. Three, we can answer.

11 MR. MAY: Okay. Do you want me to read
12 it or do you want to read it?

13 MR. DELLA TORRE: Sure.

14 MR. MAY: Questions 1 and 2 are deferred.
15 Question 3: Please explain the testing that KPMG
16 Consulting conducted to verify that changes are not
17 made to Qwest's OSS that have impact on CLECs' systems
18 and operations where no notices were provided to CLECs.
19 HP defers to KPMG on this issue with their experience
20 and not only in this area.

21 MR. CONNOLLY: Maybe I can straighten out
22 a little confusion here. We provided two sets of
23 questions on 24.8. One set for KPMG and another set
24 for HP and its reports.

25 MS. ANDERSON: 24.8 on KPMG, we covered

1 that in the last test, No. 23, wasn't it?

2 MR. CONNOLLY: We did. We had supplement
3 questions that we provided in -- I think it was our
4 initial set of questions for VTC3. Page 40 of 41 are
5 questions for HP. Page 41 of 41 are questions for
6 KPMG. I said that exactly backwards. Forty of 41 are
7 KPMG Consulting's. Forty-one of 41 are HPs.

8 MR. DELLA TORRE: I don't follow the
9 numbering you are talking about.

10 MR. WEEKS: We're talking about page
11 numbers, not questions.

12 MR. DELLA TORRE: Those three were
13 intended to be sent to us, and we are not prepared to
14 answer Questions 1 or 2. Question 3 is actually the
15 same as Question No. 3 from Test 23, which was the no
16 notice question.

17 MR. WEEKS: We interpreted it that way.
18 Did we correctly interpret that?

19 MR. CONNOLLY: Yes, it got misfiled.

20 MR. DELLA TORRE: So, we can eliminate
21 Question No. 3 and Questions No. 1 and 2, we will do
22 our best to get answers for tomorrow.

23 MR. MAY: Okay. I now am referring to
24 the page that says, "Test 24.8, Question No. 1."
25 Please explain whether the specific responsibilities

1 listed are representative or all inclusive? If they
2 are representative, what means are employed in the ISC
3 to determine the extent to which the CLEC inquiries can
4 be answered without the ISC, or require escalation/
5 referral elsewhere. The responsibility list is from
6 information Qwest provides to CLECs on the Website, in
7 addition to a published Qwest notification. The source
8 of the Website information was the Qwest wholesale
9 customer contacts Version 7.01. The notification
10 information came on March 8th, 2002.

11 Question 2: Please explain the reasons
12 HP reports that system outages or connectivity issues
13 are to be reported to the ISC and not to the wholesale
14 systems Help Desk? Qwest states, on its wholesale
15 Website, under wholesale systems Help Desk, "While not
16 responsible for supporting functional how-to questions
17 concerning systems or applications, our wholesale
18 systems Help Desk is your single point of contact for
19 system-related questions regarding connectivity issues,
20 outputs and system outages. Qwest then provides the
21 ISC Help Desk number.

22 Question 3: Please provide the meaning
23 attached to the term, "extended waiting," as it is used
24 in this test cross reference? This sentence will be
25 revised in the final report to provide additional

1 clarification via HP.

2 WorldCom Question 1: Did the Sierra
3 Vista Call Center's responsibilities include providing
4 clarification for LSR business rules? HPC defers to
5 KPMG on this issue, for their experience and knowledge
6 in this area.

7 MR. DELLA TORRE: Okay. Questions 1 and 2
8 from WorldCom redirected to KPMG. Does the Sierra
9 Vista Call Center's responsibilities include providing
10 clarification for LSR business rules? The answer is,
11 yes.

12 And for the second question, how is the
13 severity level and, therefore, the response interval
14 for a CLEC's ISC ticket determined? The response
15 interval is actually assigned according to the reason
16 for which the CLEC initiated the call to the ISC. And
17 these reasons and associated intervals are published on
18 Qwest's wholesale Website.

19 MR. MAY: Question No. 3: Clarify if the
20 instances where the P-CLEC contacted the ISC more than
21 once were for escalation purposes, because the status
22 being provided by the SDC every two hours was
23 insufficient. Okay. The P-CLEC contacted the ISC for
24 several reasons. The circumstance identified here was
25 applicable in some, but not all cases. Where the

1 P-CLEC received a call every two hours, it was due to
2 an escalation. The P-CLEC operation center contacted
3 the ISC only when it was necessary for a timely
4 solution. However, escalations regarding multiple
5 instances were usually those such as USOC table errors,
6 missing LSR completion notices, or, as stated,
7 time-sensitive issues.

8 MS. OLIVER: Becky Oliver, WorldCom. So,
9 that sounded like a, yes; that when some urgent issue
10 existed, and a more timely response was required,
11 that's when the P-CLEC initiated additional follow-up
12 with the ISC?

13 MR. MAY: Yes.

14 MS. OLIVER: Thank you.

15 MR. MAY: Question 4: For what
16 instances/reasons would the ISC refer the P-CLEC to the
17 Qwest Service Manager? The ISC would refer the CLECs
18 to the service manager for situations that the ISC
19 could not resolve. The situations were case by case.
20 The P-CLEC was instructed to contact the account
21 manager or service manager, as the case may be, 14
22 times. The types of issues and number of occurrences
23 are three for USOC issues, two were AN/SPN issues, one
24 was SPN. One was a SOC issue. Six were business
25 rules/process-related. And two were DLRQ circuits not

1 in TIRKS.

2 Question 5: Did HP evaluate the level of
3 consistency of knowledge or ability to provide
4 assistance between the multitude of ISC Help Desk
5 representatives that the P-CLEC contacted? The answer
6 is, no.

7 MS. OLIVER: Becky Oliver, WorldCom.
8 Follow-up back on Question 4. And I didn't know note
9 the number, but you gave a number of instances where --

10 MR. MAY: 14 in total and then broke them
11 out by type.

12 MS. OLIVER: Yeah. Some of those, where
13 the P-CLEC was referred to the Qwest service manager,
14 was related to business rules or process issues.

15 MR. MAY: Six.

16 MS. OLIVER: Okay. How does that then
17 relate back to the response to Question 1; that the
18 call center responsibility includes providing
19 clarification on business rules? Was this something
20 beyond that scope?

21 MR. MAY: Yeah. Given the fact that
22 WorldCom Question 1 has been deferred to KPMG, we
23 couldn't relate the answers to those two questions.

24 MS. OLIVER: Okay. I will ask it a
25 different way. Were those instances -- issues having

1 to do with business rules or process issues were
2 deferred to the Qwest service manager, were those
3 issues related to clarification or questions about the
4 business rules or something greater in scope than that?

5 MR. MAY: The answer is that they were
6 for clarification. And I believe, in all instances,
7 they were for clarifications on rarely used product
8 types or complex products.

9 MS. OLIVER: Thank you.

10 MR. MAY: You are welcome. Thank you
11 all.

12 MR. DIXON: Good night.

13 MR. FINNEGAN: I got one follow-up. I
14 understand, in response to AT&T Question 3, HP is going
15 to clarify the use of the term, "extended waiting," in
16 the next version of the report, which will be the final
17 report. I am not sure I can live with that void in my
18 life for another three days.

19 MS. ANDERSON: Maybe you need to get a
20 life.

21 MR. MAY: Okay. John, hold onto your
22 seat. Here it comes: The sentence will be changed to
23 read, "It was the P-CLEC's experience that Qwest's ISC
24 promptly answered the P-CLEC's call, following the
25 selection of the appropriate menu option, before it was

1 able to speak to an ISC representative."

2 MR. WEEKS: All that to answer one
3 question.

4 MR. FINNEGAN: It was worth it.

5 MS. ANDERSON: Do you feel whole now?

6 MR. PETRY: Do you have "M" life?

7 MR. FINNEGAN: It sort of begs the
8 question, promptness. Is there some quantitative
9 aspect attached to the promptness?

10 MR. MAY: We did not apply a quantitative
11 measure.

12 MR. FINNEGAN: I am satiated.

13 MS. ANDERSON: Okay. So, I think, just
14 to clarify, we have a couple of questions that we will
15 come back to tomorrow.

16 (Discussion off the record.)

17 (Whereupon these proceedings were
18 concluded at 4:50 p.m. on May 15, 2002.)

19

20

21

22

23

24

25