

Docket No. UG-230968
Evidentiary Hearing Transcript - Vol. III
WUTC v. Puget Sound Energy
October 9, 2024

Excerpts Pgs. 61-67, 76-89

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MS. BARNETT: No thank you.

JUDGE BONFRISCO: Okay. Thank you.

At this point, we are at about 10:21. I just want to take a pulse if we want to take a break or if we want to, you know, I know we tentatively planned for 10:30.

COMMISSIONER RENDAHL: Your Honor, I would appreciate a break.

JUDGE BONFRISCO: Okay. We will take a ten-minute break -- or ten minutes, is that good? So we will be back at 10:32 a.m. Thank you.

(Recess 10:22 a.m. to
10:38 a.m.)

JUDGE BONFRISCO: Okay. We are back on the record. Mr. Callaghan, if you would like to call PSE's next witness.

MR. CALLAGHAN: Thank you, Your Honor. Commission Staff calls Todd Shipman.

JUDGE BONFRISCO: Mr. Shipman, could I have you raise your right hand.

TODD SHIPMAN, witness herein, being first duly sworn on oath, was examined and testified as follows:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

THE WITNESS: I do.

JUDGE BONFRISCO: Okay. Mr.

Callaghan, you may proceed with your examination.

MR. CALLAGHAN: Thank you, Your Honor.

CROSS-EXAMINATION

BY MR. CALLAGHAN:

Q Good morning, Mr. Shipman, can you hear me?

A Yes.

Q Do you have a copy of your rebuttal testimony with you?

A Yes, I do.

Q So before we begin, is your argument in your rebuttal testimony that approving adjustment mechanisms ultimately lowers the cost of capital, and that lower cost of capital benefits customers more than any harm that might be caused by approving a given adjustment; is that a fair summary?

A No. I would say we are not recognizing any harm to employing adjustment mechanisms, but other than that I would agree with your statement.

Q Okay. Thank you. So after the Commission approves an adjustment mechanism, assuming all else is equal, that should reduce the approved cost of capital whenever the next opportunity arises, correct?

A Yes, all else being equal.

WUTC v. Puget Sound Energy

Docket No. UG-230968 - Vol. III

Page 105

1 Q Okay. So is your argument that approving an adjustment
2 mechanism is always a net benefit to customers because
3 adjustment mechanisms result in a lower rate of return?

4 A I would say most of the time. I can't think of every
5 circumstance off the top of my head that supports a
6 blanket statement, but I would say under most
7 circumstances any actions that the Commission takes to
8 improve a company's ability to reduce the volatility of
9 its earnings and cash flow is going to rebound to the
10 benefit of the rate payers.

11 Q All right. Could you turn to Page 7, Lines 6 through 9
12 of your rebuttal testimony and let me know when you are
13 there.

14 A I am there.

15 Q So here you state, quote, Cost of capital experts
16 recognize the risk reducing effects of adjustment
17 mechanisms; is that accurate?

18 A Yes.

19 Q All right. So you would disagree with the argument that
20 the approval of an adjustment mechanism has no bearing on
21 an expert witness' recommendation on cost of capital,
22 correct?

23 A Yes.

24 Q Have you reviewed the rebuttal testimony of PSE's witness
25 Jamie Martin?

BUELL REALTIME REPORTING, LLC
206.287.9066 | 800.846.6989

1 A Yes.

2 Q Do you have a copy of it readily available?

3 A No.

4 Q You don't?

5 A No.

6 Q Okay. All right. So just based on your recollection,
7 doesn't witness Martin argue the opposite of what you are
8 arguing in parts of her rebuttal testimony?

9 A That's best to ask her.

10 Q Okay. So what's PSE's position in this case? Should the
11 approval of an adjustment mechanism impact the
12 Commission's next cost of capital decision or not?

13 A I don't know what the position is on that.

14 Q Okay. Moving on, could you turn to your rebuttal
15 testimony, Page 7, Line 5, and let me know when you are
16 there.

17 A I'm there.

18 Q In this answer you state, quote, Utilities have the same
19 incentive to control costs whether the relationship of
20 costs to revenue is positive, neutral, or negative; is
21 that accurate?

22 A Yes.

23 Q Are you arguing that the utility has the same incentive
24 to control specific costs that are subject to a pure
25 passthrough adjustment mechanism compared to if those

1 same costs were embedded in rates?

2 A Yes. I think their incentive to control costs is
3 constant. They have a profit motive to try to maximize
4 profits and to the extent that they can reduce costs,
5 it's in your best interest.

6 Q But if a specific set of costs are subject to a pure
7 passthrough mechanism, to the extent they reduce those
8 costs, doesn't that get passed back to the customer?

9 A Yes, it gets passed through the customers.

10 Q So in that case reducing those costs would not be
11 beneficial to the utility, would it, from a financial
12 perspective?

13 A I think it's in their best interest to keep their rates
14 as low as possible. For one thing, it would encourage,
15 you know, people to use their product and that's what
16 most companies strive to do. I would not disagree with
17 the idea that a passthrough mechanism perhaps does not
18 have the same -- doesn't present the same urgency to
19 control costs, but I think a utility like any other
20 company wants to have the lowest price for their product
21 in order to please their customers.

22 Q All right. So what I think I have heard from your
23 response is that you said it doesn't have the same
24 urgency. So it's not the exact same incentive in the
25 case of a pur passthrough versus those same costs being

1 embedded in the rates?

2 A I would agree with that.

3 Q Okay. So starting on Page 7, Line 5 you state, quote,
4 Utility managers have shown a deal for cost cutting for a
5 variety of different reasons; is that accurate?

6 A Yes.

7 Q Okay. So, again, are you arguing here that a utility
8 manager would have the same incentive to cut costs when
9 they have a full passthrough adjustment compared to if
10 those same costs were embedded in rates?

11 A That's not the issue I was addressing in this section of
12 my testimony.

13 Q Okay. Can you point me to any evidence in the record
14 that supports the claim that you are making on Page 7,
15 Line 15?

16 A Okay.

17 Q Does your testimony cite any prior Commission decisions
18 that come to the same conclusion that you have on this
19 point?

20 A No.

21 MR. CALLAGHAN: Nothing further.

22 Thank you, Your Honor.

23 COMMISSIONER RENDAHL: So that
24 concludes your questions?

25 MR. CALLAGHAN: Yes.

Page 109

1 JUDGE BONFRISCO: Any redirect?

2 MS. BARNETT: Yes, just quickly, I
3 think. Thank you, Your Honor.

4
5 REDIRECT EXAMINATION

6 BY MS. BARNETT:

7 Q Mr. Shipman, you heard counsel for Staff ask you about
8 the passing through costs through a tracker versus costs
9 embedded in rates, and how would you describe the
10 company's ability to control costs related to the Climate
11 Commitment Act compliance?

12 A My understanding would be that it's limited, that the
13 activities there are really based off of -- or involve
14 costs that are set by a market.

15 Q Thank you. And regarding the passing through of costs
16 through the tracker, if CCA costs and compliance are
17 increasing risk to a company, PSE, would getting a
18 passthrough on those costs, how would that affect PSE's
19 risk? Would that reduce? Increase? Keep it flat?

20 A Having a separate tracker mechanism would reduce the
21 risk.

22 MS. BARNETT: No further questions.

23 JUDGE BONFRISCO: Thank you. So, Mr.
24 Callaghan, it looks like your next witness is Christopher
25 Mickelson. Could you please call Mr. Mickelson?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

THE WITNESS: I do.

JUDGE BONFRISCO: All right. Thank
you. Mr. Callaghan, you may proceed.

MR. CALLAGHAN: Thank you, Your Honor.

CROSS-EXAMINATION

BY MR. CALLAGHAN:

Q Good morning, Ms. Martin. Do you have a copy of your
rebuttal testimony?

A Yes, I do.

Q In your rebuttal testimony you opposed Staff's primary
recommendation, correct?

A That's correct.

Q And your argument opposing Staff's proposed framework
doesn't address the specifics of any of Staff's proposed
criteria, correct?

A I'm not sure I follow your question. Could you rephrase
it, please?

Q Yes. So in your criticism of Staff's proposed primary
recommendation you don't specifically criticize Staff's
criteria one, criteria two, et cetera, correct?

A I think the premise of my testimony is that the
elimination of a Schedule 111 mechanism isn't the right
path for these types of costs. And by making that
argument in my testimony, it's implicit that the

1 subsequent items in Staff's proposal, from my
2 perspective, do not make sense.

3 Q Okay. So your rebuttal is focused on Staff's premise
4 that, in general, absent specific circumstances, it is
5 not in the public interest to approve tracking
6 mechanisms; is that accurate?

7 A Sorry. Do you have a reference point for my testimony?

8 Q I'm not citing a specific part of the testimony, but I
9 guess my question is, you are attacking the premise that
10 without a specific public interest demonstration, Staff's
11 premise that it's not in the public interest to approve a
12 tracking mechanism, you are attacking that premise,
13 correct?

14 A What I'm arguing is that retaining a Schedule 111
15 mechanism for these specific costs is the right thing to
16 do given where we are in implementation of CCA, and more
17 broadly as I reference later in my testimony.

18 Q Okay. So setting aside your argument about whether
19 Staff's primary recommendation is within the scope of
20 this proceeding or not, is it fair to say that the main
21 point of your rebuttal testimony is essentially that
22 Staff is incorrect that shifting variances from the
23 company onto the customers is a problem that the
24 Commission needs to address in this case; is that a
25 reasonably accurate summary?

WUTC v. Puget Sound Energy

Docket No. UG-230968 - Vol. III

Page 120

1 A Parts of what I articulate in my testimony is that what
2 Staff suggests is variant interest and considered in
3 returns on equity isn't accurate.

4 Q Okay. And your reasoning is that shifts in variances
5 from the company to the customer are already accounted
6 for in return on equity analysis and ultimately
7 Commission decisions on higher rates; is that correct?

8 A Again, is there a specific part of my testimony you are
9 referencing?

10 Q Let's turn to Page 7, Lines 10 through 13 and let me know
11 when you are there.

12 A I'm there.

13 Q Okay. So I will repeat my question. Your reasoning in
14 rebuttal is that shifts in variances from the company to
15 customer are already accounted for in return on equity
16 analysis and Commission decisions on higher rates; is
17 that accurate?

18 A I don't think the testimony referenced that we are
19 looking at right now is specifically related to that.

20 Q So here you state, In other words the risk reducing
21 impacts of adjustment mechanism and approved returns on
22 equity established by regulatory bodies are largely
23 imbalanced because the latter incorporates the existence
24 of the former. Am I reading that right?

25 A You are reading that right.

BUELL REALTIME REPORTING, LLC
206.287.9066 | 800.846.6989

Page 121

1 Q All right. That's essentially saying that the impacts of
2 adjustment mechanisms are already accounted for in return
3 on equity decisions; isn't it?

4 A The context of this statement is important and so when
5 you look at the other components of how I wrote about
6 this in my testimony the point here is that the existence
7 of adjustment mechanisms are a component of how returns
8 on equity are set across a set of tiered utilities.
9 Adjustment mechanisms are a common regulatory tool and
10 approved returns on equity consider those in aggregate,
11 often not in isolation, and that is reflected in cost of
12 capital across utilities.

13 There's other components in my testimony that
14 describe how this specific situation in regards to CCA
15 compliance is risky in and of itself. It's certainly new
16 amongst all of the jurisdictions that consider ROEs in
17 the United States specifically.

18 And the existence of adjustment mechanisms are
19 appropriate when there is a risk introducing set of
20 activities that a utility needs to participate in because
21 of a policy decision or regulatory decision.

22 Q But isn't your discussion on ROE and how the Commission
23 decides returns on equity and overall rate of return,
24 isn't the relevance of that for this case that the
25 Commission does not need to worry about the issues that

1 Commission Staff is bringing up because those risks are
2 already accounted for in return on equity analysis?

3 Isn't that the argument you are making?

4 A The argument I'm making is that the cost should not --
5 the cost of CCA compliance should not be in base rates,
6 they should remain an adjustment mechanism because an
7 adjustment mechanism is an appropriate place for those
8 costs.

9 Q Okay. So could you turn to Page 4 and let me know when
10 you are there.

11 A I'm on Page 4.

12 Q All right. On Lines 7 to 11 you state that Staff
13 incorrectly suggests that ROE compensates utilities for
14 variances, and that this statement is quote, represents a
15 fundamental misunderstanding of bedrock principles
16 related to risk and returns in regulatory law; is that
17 correct?

18 A Yes. That's correct.

19 Q That's a strong statement, wouldn't you agree?

20 A I think it's a comprehensive statement.

21 Q All right. So is it your opinion that Commission
22 approved ROE does not or is not intended to compensate
23 inventors for variances?

24 A Part of what I am articulating here is that the variance
25 risk introduced in Staff's testimony isn't consistent

1 with how risk and returns are considered inside of
2 regulated activities.

3 Q So are you saying that ROE -- that ROE analysis does or
4 does not consider variances?

5 A I think it's important to define variance risk.

6 Q Okay.

7 A Staff's definition of variance risk in this case seems to
8 be the costs -- the difference between forecasted cost
9 and actual costs.

10 Q Based on that definition, is your opinion that Commission
11 approved ROE does or does not compensate investors for
12 variances?

13 A The question is very broad, and so I think it's important
14 to understand we have to talk in the specifics about what
15 ROE compensates for with regard to the difference between
16 forecasted and actual costs. ROEs are designed to ensure
17 utilities have the opportunity to be compensated for the
18 suite of risks that they face given the environment in
19 which they operate.

20 The difference between forecasted cost and actual
21 costs is certainly embedded in there, but it's not the
22 only thing that's considered. I think when jurisdictions
23 are setting ROEs, the type of costs, the ability to
24 protect and control those costs, the known and unknowns
25 associated with those costs are all really important

1 characteristics of what goes into the definition of a
2 variance risk. They can't, in my opinion, be done so
3 broadly.

4 Q So I think what you said was it's embedded in there along
5 with other risks, so are you saying that you do think
6 that ROE compensates investors for variances?

7 A Not for the risk we are talking about in this proceeding.

8 Q All right. So your -- so is your opinion that ROE does
9 not compensate for variance risk as Commission Staff has
10 defined it?

11 A I don't know that I can give you a better answer than
12 what I just gave you, but the variance risk associated
13 with the volatility in CCA compliance costs are different
14 than other types of costs as I was describing in my
15 answer previously.

16 Q So but here I'm just asking about variance risk in
17 general.

18 A Okay. Yes, and my -- the way I'm trying to answer your
19 question is to say that variance risk, as defined by
20 Staff, I don't agree with the definition of the variance
21 risk that Staff's position indicates. It's too broad in
22 my opinion, and that's why I'm giving you the answers
23 that I'm giving you at this time.

24 Q Okay. So in that same answer, again on Page 4, Lines 12
25 through 16, you state, quote, Establishing return on

Page 125

1 equity is a regulatory concept in the quest of capital
2 attraction which involves the comparison of risks among
3 alternative investments, unquote.

4 Wouldn't variance risk as Staff has defined it be
5 one of the risks that a potential investor consider when
6 they compare a specific utility to other to other
7 potential investments?

8 A I think that utility investors look at a number of things
9 when they look at the risk profile of a particular
10 investment opportunity inside of a utility space. I
11 think they look at the types of compliance requirements
12 the utility has, the construct of the regulatory
13 environment, the ability for the utility to earn a fair
14 return, the ability of a utility to deliver for its
15 customers, and deliver for its debt and equity holders.
16 And, again, the definition of Staff's variance risk in
17 its testimony, I think, is very broad and so to say
18 anything specific about it is difficult for me.

19 JUDGE BONFRISCO: Ms. Martin, if I
20 could have you bring the microphone closer I'm getting
21 input they are having a difficult time hearing you.
22 Thank you.

23 THE WITNESS: You're welcome. Is that
24 better?

25 JUDGE BONFRISCO: Yes.

1 Q (By Mr. Callaghan) So do you believe that an investor
2 would not consider the potential difference between
3 actual cost and the level of costs embedded in rates when
4 deciding whether or not to invest in a specific utility?

5 A I believe that an investor would consider the ability of
6 the utility to manage its costs or earn a fair return and
7 recover those costs timely and completely based on its
8 prudent operations.

9 Q Okay. So it's not a fundamental misunderstanding of
10 bedrock principles of regulatory law to say that variance
11 risk is something that an investor would consider, is it?

12 A I'm back to saying that the definition of variance risk
13 as offered in Staff's testimony is too broad and there
14 are many factors that an investor would consider in
15 determining whether to invest in a utility, and the
16 principles associated with risk evaluation and
17 establishing returns are much more broad than variance
18 risk.

19 Q Okay. But are you saying that variance risk as Staff has
20 defined it is not something that is considered in ROE
21 analysis?

22 A It's a component of.

23 Q Okay. So could you turn to Page 8 of your rebuttal
24 testimony and let me know when you are there.

25 A I'm on Page 8.

1 Q All right. In Footnote 14 you cite two articles from S&D
2 Global Market Intelligence, and you provide a hyperlink
3 to the 2017 article; is that right?

4 A Yes.

5 Q Have you read the article that you cite here?

6 A Yes.

7 Q Can you recall whether or not this article gives an
8 opinion on whether or not adjustment mechanisms are
9 beneficial to utilities?

10 A It's been -- I can't recall the guts of the article. If
11 you want to talk about it specifically you can bring it
12 up.

13 Q Do you recall whether or not this article states, quote,
14 A defining characteristic of an adjustment clause is that
15 it effectively shifts the risk associated with the
16 recovery of the expense in question from shareholders to
17 customers because if the clause operates as designed, the
18 company is able to change its rates to recover its cost
19 on a current basis without any negative on the bottom
20 line, and without the expense and delay that accompanies
21 a rate case filing?

22 A I don't recall. I don't have the article in front of me.

23 Q Okay. But do you agree with that statement?

24 A Can you read it again?

25 Q Yes. A defining characteristic of an adjustment clause

1 is that it effectively shifts the risk associated with
2 the recovery of the expense in question from shareholders
3 to customers because if the clause operates as designed,
4 the company is able to change its rates to recover its
5 cost on a current basis without any negative on the
6 bottom line, and without the expense and delay that
7 accompanies a rate case filing.

8 A Could you repeat the question?

9 Q Do you agree with that statement?

10 A I would add subject to a prudence review.

11 MR. CALLAGHAN: I have no further
12 questions, Your Honor.

13 JUDGE BONFRISCO: Thank you. Do I
14 have any redirect from PSE?

15 MS. BARNETT: Yes, briefly. Thank
16 you.

17 JUDGE BONFRISCO: Okay.

18
19 REDIRECT EXAMINATION

20 BY MS. BARNETT:

21 Q Ms. Martin, you heard Staff counsel asked you about the
22 variance risk definition that Staff had. What can --
23 could just please articulate your concerns with that
24 definition?

25 A Sure. My concerns are that that definition is overly

1 broad in terms of what it indicates variance risk is.
2 The ROE is specifically designed to compensate utilities
3 for differences in forecasted versus actual costs, that
4 there's more to ROE -- and ROE setting to variance risk.
5 Q Thank you. And are you aware of how the Commission or in
6 what form the Commission issues or approves an ROE for a
7 utility?
8 A I am aware, yes.
9 Q How is that?
10 A My understanding is that in the state of Washington ROEs
11 are set inside of the rate plan and are evaluated on a
12 number of criteria and then set accordingly in that
13 proceeding.
14 Q Thank you. And is the CCA implementation costs and the
15 scale of those costs considered in PSE's ROE currently?
16 A I don't believe it is, no.
17 Q I believe you were asked about the California
18 cap-in-trade program or a report with other -- regarding
19 other states, are you aware in -- is California the only
20 other jurisdiction with a similar cap-in-trade program as
21 Washington?
22 A I know California definitely has a cap-in-trade program.
23 Q Are you aware of if the Commission, the California Public
24 Utilities Commission imposes a risk-sharing mechanism on
25 utilities in the -- like Staff or the Joint Environmental

1 Advocates are proposing in this case?

2 MR. CALLAGHAN: Objection, Your Honor.

3 This is outside the scope of my cross-examination.

4 JUDGE BONFRISCO: I am going to go
5 ahead and sustain that objection. If you could direct
6 more specifically from what was previously --

7 MS. BARNETT: And I believe the report
8 that Nash Callaghan was reading from was a report
9 regarding other overall jurisdictional applications of
10 risk-sharing mechanisms, and I'm asking a follow-up about
11 other jurisdictions implementing those risk-sharing
12 mechanisms.

13 JUDGE BONFRISCO: Mr. Callaghan, what
14 specifically do you believe is outside the scope?

15 MR. CALLAGHAN: Questions related to
16 the CCA. The article that I asked a question about is
17 from 2017 before the CCA existed. I did not ask Ms.
18 Martin about anything related to CCA costs.

19 CHAIR DANNER: Just to be clear, you
20 are talking about Footnote 14 in the testimony?

21 MR. CALLAGHAN: That's correct.

22 CHAIR DANNER: I have a date of 2022.

23 MR. CALLAGHAN: There are two reports.
24 The last one is the one I asked questions about.

25 MS. BARNETT: I believe my redirect

1 question was not specific to this CCA. It was whether
2 California applies a risk-sharing mechanism, if Ms.
3 Martin is aware of California imposing or applying a
4 risk-sharing mechanism in that jurisdictional utility.

5 MR. CALLAGHAN: Your Honor, my
6 cross-examination did not ask any questions related to
7 other jurisdictions.

8 MS. BARNETT: I'm fine with
9 withdrawing that because I believe it's in the record
10 anyway.

11 JUDGE BONFRISCO: Okay. Thank you.

12 MS. BARNETT: No further questions.

13 JUDGE BONFRISCO: Okay. Ms. Martin,
14 you may be excused. Thank you.

15 Oh, real quick, before I do that I want to make
16 sure, are there any questions from the bench? Okay. You
17 may be excused, Ms. Martin.

18 Okay. We are now going to move to Public Counsel's
19 cross-examination of Staff's witness.

20 Mr. Callaghan, if you could please introduce Staff's
21 witness that will be called and I will swear them in.

22 MR. CALLAGHAN: Thank you, Your Honor,
23 Chris McGuire.

24 JUDGE BONFRISCO: Oh, just to clarify,
25 I believe Public Counsel's witness is Robert Earle.