

1 BEFORE THE WASHINGTON UTILITIES AND TRANSPORTATION COMMISSION

2

3 PETITION OF PUGET SOUND POWER ) GENERAL RATE CASE  
 & LIGHT COMPANY FOR AN ORDER )  
 4 REGARDING THE ACCOUNTING ) DOCKET NO. UE-920433  
 TREATMENT OF RESIDENTIAL )  
 5 EXCHANGE BENEFITS )

----- )  
 6 WASHINGTON UTILITIES AND )  
 TRANSPORTATION COMMISSION, )  
 7 )  
 Complainant, )

8 vs. ) DOCKET NO. UE-920499

9 )  
 10 PUGET SOUND POWER & LIGHT )  
 COMPANY, )  
 11 Respondent. )

----- )  
 12 WASHINGTON UTILITIES AND )  
 TRANSPORTATION COMMISSION, )  
 13 )  
 Complainant, )

14 vs. ) DOCKET NO. UE-921262

15 )  
 16 PUGET SOUND POWER & LIGHT ) VOLUME XVII  
 COMPANY, ) PAGES 2835-3052  
 17 Respondent. )

----- )  
 18

19 A hearing in the above matter was held on  
 20 June 7, 1993 at 9:00 a.m., at 1300 South Evergreen  
 21 Park Drive Southwest, Olympia, Washington, before  
 22 Chairman SHARON L. NELSON, Commissioners RICHARD CASAD  
 23 and RICHARD HEMSTAD, and Administrative  
 24 Law Judge ALICE HAENLE.  
 25 Cheryl Macdonald, RPR, CSR, Court Reporter

1                   The parties were present as follows:

2                   WASHINGTON UTILITIES AND TRANSPORTATION  
3                   COMMISSION STAFF, by DONALD T. TROTTER and SALLY G.  
4                   BROWN, Assistant Attorneys General, 1300 South  
                  Evergreen Park Drive Southwest, Olympia, Washington  
                  98504.

5                   FEDERAL EXECUTIVE AGENCIES, by VASIO  
6                   GIANULIAS, Associate Counselor, 900 Commodore Drive,  
7                   Bldg. 107, (Code 09C), San Bruno, California  
                  94066-2402.

8                   PUGET SOUND POWER & LIGHT, by JAMES VAN  
9                   NOSTRAND and STEVEN C. MARSHALL, Attorneys at Law,  
                  411 - 108th Avenue NE, Bellevue, Washington 98004.

10                   WASHINGTON INDUSTRIAL COMMITTEE FOR FAIR  
11                   UTILITY RATES, by MARK P. TRINCHERO, 2300 First  
12                   Interstate Tower, 1300 Southwest Fifth Avenue,  
                  Portland, Oregon 97201, and PETER RICHARDSON,  
                  Attorney at Law, 702 West Idaho, Boise, Idaho 83702.

13                   PUBLIC INTEREST, by CHARLES F. ADAMS,  
14                   Attorney at Law, Suite 2000, 900 Fourth Avenue,  
                  Seattle, Washington 98164.

15                   PACIFIC CORP, by JAMES PAINE, Attorney at  
                  Law, 900 SW Fifth Avenue, Portland, Oregon 97204-1268.

16                   WASHINGTON WATER POWER, by DAVID MEYER,  
17                   Attorney at Law, Suite 1200, Washington Trust Financial  
                  Center, 717 W. Sprague, Spokane, Washington 99204.

18

19

20

21

22

23

24

25

2837

1

I N D E X

2

WITNESS:           DIRECT   CROSS   REDIRECT   RECROSS   EXAM

3

P. MOAST           --       2840       2904       2912       2886

4

5

A. BUCKLEY         2914    2916       2929                   2933

6

7

H. LARKIN          2932    2939                   2979

8

9

S. HILL            2983    2985       3041       3048

10

11

EXHIBIT            MARKED        ADMITTED

12

789                2838        2841

13

T-790             2838        2841

14

T-791             2914        2916

15

T-792             2930        2939

16

793                2930        2939

17

T-794             2930        2971

18

795                2930        2971

19

T-796             2982        2985

20

797                2982        2985

21

22

RECORD REQ.       PAGE

23

583                3012

24

1 P R O C E E D I N G S

2 (Marked Exhibits 789 and T-790.)

3 JUDGE HAENLE: Let's be on the record. The  
4 hearing will come to order. This is a 17th day of  
5 hearing in the consolidated Puget dockets. This is  
6 June 7, 1993 and the hearing is being held before the  
7 Commissioners. We're continuing with cross of staff,  
8 intervenor and public counsel expert witnesses today.  
9 I will take appearances just by going around and  
10 having you state your name and your client's name. If  
11 you've already given your appearance -- I would like to  
12 take a full appearance if this is the first time.

13 MR. VAN NOSTRAND: For the company, James  
14 Van Nostrand and Steven Marshall.

15 MR. TROTTER: Donald T. Trotter and Sally  
16 G. Brown, assistant attorneys general.

17 MS. GIANULIAS: Vasio Gianulias for the  
18 Federal Executive Agencies.

19 JUDGE HAENLE: Have you given an appearance  
20 before? Full business address, please.

21 MS. GIANULIAS: Naval Facilities  
22 Engineering Command, 900 Commodore Drive, San Bruno,  
23 California, office of counsel.

24 MR. PAINE: James Paine for Pacific Corp.

25 MR. TRINCHERO: Mark Trincherro on behalf of  
(COLLOQUY)

2839

1 WICFUR.

2 JUDGE HAENLE: Anyone else need to give an  
3 appearance?

4 MR. RICHARDSON: Peter Richardson also on  
5 behalf of WICFUR, your Honor.

6 JUDGE HAENLE: Mr. Meyer will be coming  
7 this morning to bring his witness, but they indicated  
8 they would be later than 9:00 so that they wouldn't  
9 have to fly in last night and stay over. All right.  
10 We're continuing, then, with Mr. Moast. Is there  
11 anything we need to discuss procedurally before we  
12 take that testimony?

13 MR. VAN NOSTRAND: Your Honor, I understood  
14 from my office this morning that NCAC has filed some  
15 sort of an emergency motion asking that a witness be  
16 cross-examined by telephone, but I have not seen it.  
17 I've just been told by my office that it was filed this  
18 morning.

19 JUDGE HAENLE: I have not seen anything of  
20 the sort. I will check down at the records center  
21 when we take a break. I had called Ms. Williams, had  
22 asked her to move one of her witnesses to Wednesday so  
23 that we would not have so many people crammed into  
24 Thursday and Friday.

25 MR. TROTTER: We received a copy of that

(COLLOQUY)

2840

1 motion this morning.

2 JUDGE HAENLE: All right. We will --  
3 perhaps we can take that up after lunch. I haven't  
4 seen it yet. Take it up later today. Thank you for  
5 bringing it to my attention, Mr. Van Nostrand.

6 Anything else?

7 Go ahead.

8 Whereupon,

9 PATRICK MOAST,  
10 having been previously duly sworn, was recalled as a  
11 witness herein and was examined and testified as  
12 follows:

13

14 CROSS-EXAMINATION

15 BY MR. VAN NOSTRAND:

16 Q. Morning, Mr. Moast.

17 A. Morning.

18 Q. Do you have before you what's been marked  
19 for identification as Exhibit 789 and 790?

20 A. Yes.

21 Q. Do you recognize these as your response to  
22 company data request 4075 and 4076?

23 A. Yes.

24 Q. Your responses and then the questions

25 concerned the determination of prudence of new

(MOAST - CROSS BY VAN NOSTRAND)

2841

1 resources. Is that a fair statement?

2 A. Yes.

3 MR. VAN NOSTRAND: Your Honor, move the  
4 admission of 789 and 790.

5 JUDGE HAENLE: Any objection?

6 MR. TROTTER: No objection.

7 MR. ADAMS: No objection.

8 JUDGE HAENLE: Objection from any  
9 intervenor?

10 MR. TRINCHERO: No, your Honor.

11 JUDGE HAENLE: 789 and 790 will be entered  
12 into the record.

13 (Admitted Exhibits 789 and 790.)

14 Q. One of the points that you make in your  
15 testimony is that the integrated resource planning  
16 process cannot be used to demonstrate the prudence of  
17 a resource. Is that a fair statement?

18 A. As the integrated resource planning process  
19 is currently conducted by Puget I state that it's not  
20 adequate for proving prudence of specific new  
21 resources.

22 Q. Do you believe the company is currently  
23 complying with the Commission's least cost planning  
24 rule?

25 A. Yes.

(MOAST - CROSS BY VAN NOSTRAND)

2842

1 Q. Your testimony also claims that resource  
2 prices below avoided costs do not necessarily imply  
3 least cost acquisition. Is that also true?

4 A. Yes.

5 Q. Do you know where the requirement arises  
6 for the company to estimate its avoided costs?

7 A. It is through WAC 480-100 -- I believe it's  
8 060. I can check that if you would like me to tell  
9 the specific WAC reference.

10 Q. If you could.

11 A. I'm incorrect. That was WAC 480-107-050

12 Q. Doesn't the company also require under the  
13 PURPA regulations to estimate its avoided cost?

14 A. No, sir. Accept that subject to check.

15 Q. Do you know what it is taken into account  
16 on estimated avoided cost?

17 A. A number of things are taken into account  
18 when a company calculates its avoided costs.

19 Q. Do you know how avoided costs are defined  
20 for purposes of company's estimates?

21 A. Off the top of my head I couldn't provide  
22 you that criteria. I could get back to you with that.

23 Q. Isn't it defined in the regulations as the  
24 incremental cost that the utility would incur for

25 additional energy or capacity?

(MOAST - CROSS BY VAN NOSTRAND)

2843

1 A. Subject to check I will accept that.

2 Q. Are you familiar with Puget's avoided cost  
3 filings with the Commission?

4 A. Yes.

5 Q. And doesn't Puget update its avoided cost  
6 from time to time?

7 A. It updates them annually, I believe, in the  
8 support of its schedule 91 tariff.

9 Q. Do you believe the method followed by Puget  
10 for calculating its avoided costs is incorrect?

11 A. No. It's reasonable.

12 Q. And in Puget's most recent avoided cost  
13 filing, doesn't it assume that the combined cycle  
14 turbine is the most recent -- in the most recent  
15 avoided cost filing doesn't it assume that a combined  
16 cycle combustion turbine is the avoided resource for  
17 the period beginning in 1996?

18 A. I believe so but I will accept that subject  
19 to check.

20 Q. I take it from your answer you're not  
21 really sure what it is that Puget is using as its --  
22 as the resource which it defines as the avoided  
23 resource for purposes of its avoided cost filing?

24 A. There were two things that I wasn't

25 absolutely certain that I could say with certainty

(MOAST - CROSS BY VAN NOSTRAND)

2844

1 that I agree with your question. Number one, I don't  
2 recall whether 1996 was the starting date for your  
3 schedule, projects of short term avoided costs. I  
4 thought it was 1995 or '94. I will have to check that  
5 starting date.

6 Number two, I thought, as I had said in my  
7 response that I thought it was the combustion turbine  
8 but I just wanted to check that. I wasn't sure when  
9 that combustion turbine as the avoided resource would  
10 terminate.

11 Q. Well, isn't it -- do you know whether prior  
12 to 1996, isn't the company assuming that no additional  
13 resources are necessary and therefore there isn't an  
14 avoided resource identified, it's just nonfirm  
15 purchases?

16 A. To my recollection, that's correct. Again,  
17 I don't know when that short term lack of need for  
18 capacity terminates and when the short term need for  
19 capacity starts, whether it's 1995 or '96.

20 Q. And doesn't the identification and pricing  
21 out of the resources avoided by the company provide  
22 some basis for evaluating the reasonableness of  
23 Puget's resource acquisitions?

24 A. Yes. It provides some basis for

25 reasonableness.

(MOAST - CROSS BY VAN NOSTRAND)

2845

1 Q. And would you agree that the competitive  
2 bidding rule -- and I think the regulation you cited  
3 in particular requires that the company update its  
4 estimate of avoided cost to reflect the results of  
5 competitive bidding solicitations?

6 A. I will have to say subject to check I will  
7 accept that for now.

8 Q. And didn't the company, in fact, recently  
9 update its avoided cost estimates to reflect the  
10 impact of the most recent competitive bid solicitation?

11 A. Yes.

12 Q. And the impact was to reduce the estimated  
13 cost of the gas supply for the assumed resource, the  
14 combined cycle combustion turbine; is that correct?

15 A. There were a number of factors that caused  
16 Puget Power to lower its avoided cost estimate.

17 Q. Do you know what some of those factors  
18 were?

19 A. Yes. Need. The fact that Puget has taken  
20 on a significant amount of purchased power contracts  
21 which lowered its -- again, its need for additional  
22 power. The extension of the fact that those things  
23 contributed to the lack of need in the short term for  
24 firm power.

25 Q. But in terms of pricing out the cost of the  
(MOAST - CROSS BY VAN NOSTRAND) 2846

1 avoided resource, would you agree that Puget's most  
2 recent cost estimate adjusts the cost of that resource  
3 to reflect the impact of the most recent competitive  
4 bidding solicitation?

5 A. Yes. And also as you had said earlier,  
6 lower natural gas prices.

7 Q. Another point you make in your testimony is  
8 that acquisition of resources through competitive  
9 bidding is no showing of prudence either; is that  
10 correct?

11 A. That is correct.

12 Q. Was it the company's idea to acquire  
13 resources through competitive bidding?

14 A. I wasn't a member of the Commission at the  
15 time that the competitive bidding rule was promulgated.  
16 I was not a part of the meetings that were conducted in  
17 determining the participation in the formulation of  
18 those rules.

19 Q. When was the competitive bidding  
20 requirement first proposed?

21 A. I believe it was around 1989, July of 1989.

22 Q. And do you know when the company's first  
23 competitive bidding solicitation occurred?

24 A. To my recollection it occurred in 1989.

25 Q. Is it fair to say that the competitive

(MOAST - CROSS BY VAN NOSTRAND)

2847

1 bidding procedure was adopted because it was thought  
2 that this process would insure that resources would be  
3 acquired on terms most favorable to the utility and  
4 its customers?

5 A. Again, there were a number of reasons that  
6 the competitive bidding rule was promulgated. In  
7 addition to the priority for promoting the best terms  
8 for the company, they felt that the benefits also  
9 accrued to creating a market for alternate and other  
10 types of technologies that the company might not  
11 normally consider, including DSM and renewable  
12 resources.

13 Q. When you say that another reason the rule  
14 was developed was to avoid having to rely on estimates  
15 of avoided costs and instead have the market determine  
16 what the avoided resources are?

17 A. I don't recall that being ever cited to me  
18 as a reason.

19 Q. Are you familiar with the FERC rulemaking  
20 regarding the use of competitive bid instead of  
21 administratively determined avoided cost?

22 A. No.

23 Q. You would agree, wouldn't you, that the  
24 avoided cost estimates that the company prepares are

25 used as a ceiling in the competitive bid solicitations

(MOAST - CROSS BY VAN NOSTRAND)

2848

1 to insure that resources will be acquired at less than  
2 avoided costs?

3 A. I have heard that term applied by  
4 Mr. Folsom in conversations in describing the avoided  
5 costs. I would say -- subject to that I would say  
6 yes.

7 Q. Which term was it that you were referring  
8 to?

9 A. The word "ceiling."

10 Q. You reviewed the company's requests for  
11 proposals under its competitive bid solicitations,  
12 haven't you?

13 A. I was attendant at Puget Power's opening of  
14 the competitive bids in this last process in 1992, I  
15 believe, the bids were opened or fall of 1991. No,  
16 correct that. It was early 1992 that the bids were  
17 opened. And I was the person that was contacted by  
18 Puget as they gave briefings to the Commission  
19 regarding the status of their evaluations of the bids  
20 as they were reviewed for possible award group  
21 selection.

22 Q. Did you review the requests for proposal  
23 itself?

24 A. Yes.

25 Q. And wasn't the estimate of avoided costs

(MOAST - CROSS BY VAN NOSTRAND)

2849

1 included as part of that package that went out to the  
2 bidders?

3 A. Yes.

4 Q. How was that estimate characterized? Is it  
5 fair to say that the estimate of avoided costs acted  
6 as a ceiling?

7 A. I don't recall if the word "ceiling" was  
8 used in the RFP document itself.

9 Q. Can you describe the process you said you  
10 were involved in where the company briefed the  
11 Commission staff in various stages of the competitive  
12 bidding process?

13 A. To my recollection, if you bear with me on  
14 this, the Commission staff was requested or it was  
15 suggested that the Commission staff monitor their  
16 RFP process from a distance but as an interested  
17 observer to evaluate the workings of the bidding  
18 process to observe the areas where the process was  
19 successful and where there was needs for improvement  
20 in the bidding process. So we did not evaluate  
21 specifically the -- on an ongoing basis the company's  
22 proposals, specific evaluations, but received summaries  
23 and all summary documents of the company's  
24 evaluations.

25 Q. And you were saying that you were present

(MOAST - CROSS BY VAN NOSTRAND)

2850

1 when all the bids were opened in the competitive  
2 bidding solicitation; is that right?

3 A. Yes, I remember that.

4 Q. Were there subsequent briefings by the  
5 company to the Commission staff of how the various  
6 proposals were being evaluated and ranked by the  
7 company?

8 A. Yes. There was periodic updates as the  
9 company proceeded from the original openings and  
10 reviews to the first cut or what they call the short  
11 list criteria and eventually weeding out to the award  
12 group selection.

13 Q. And was it discussed with the Commission  
14 staff the basis for the company's decisions to weed  
15 certain projects out to the short list?

16 A. In a summary fashion the company summarized  
17 the projects that they proposed to move ahead with and  
18 in a summary fashion the criteria that was used for  
19 disqualifying certain proposals from evaluation.

20 Q. If I could combine the three pieces we've  
21 talked about a little bit this morning, the Integrated  
22 Resource Plan avoided cost, the competitive bidding,  
23 and just exactly what your testimony is saying,  
24 prudence. Is it fair to say that if Puget completed

25 an Integrated Resource Plan which is consistent with

(MOAST - CROSS BY VAN NOSTRAND)

2851

1 the Commission's least cost planning rule that it  
2 calculated its avoided costs in a manner which the  
3 Commission found acceptable, that it acquired a  
4 resource that was consistent with its  
5 integrated resource planning pursuant to a competitive  
6 bidding RFP that complied with the Commission's rule  
7 and was approved by the Commission and the price paid  
8 for this resource was less than Puget's estimate of  
9 avoided cost that compliance with all the steps of this  
10 process is not enough to establish a prima facie case  
11 of prudence for the resource acquired?

12 A. It's not enough of a basis to provide  
13 justification for prudence. The problem, as I've  
14 stated in my testimony, is that the Integrated  
15 Resource Plan itself is not adequate, does not  
16 adequately identify all the factors that need to be  
17 considered to justify prudence. There's a definite  
18 need to have a planning process so that the company  
19 can evaluate options. However, if the IRP process  
20 itself excludes certain factors or certain resources  
21 from consideration then from that point going forward  
22 through the avoided cost calculation and through the  
23 bidding process that process does not justify  
24 prudence. For instance, hydro firming, looking at the

25 needs. The fact that the integrated resource planning

(MOAST - CROSS BY VAN NOSTRAND)

2852

1 process completely ignores evaluation of capacity  
2 needs, that the integrated resource plan looks at  
3 energy and does not evaluate on a seasonal basis the  
4 need for winter energy, vis-a-vis what its needs are  
5 for summer energy, and this is one of the issues that  
6 we have concerns about is that the company may have  
7 overpurchased firm capacity contracts which are 100  
8 percent take and pay and company may not need all of  
9 that power in the summertime. So, therefore, I don't  
10 feel that the Integrated Resource Plan, which is the  
11 cornerstone of the process, is comprehensive enough to  
12 justify the eventual prudence evaluation of specific  
13 resource acquisitions.

14 Q. If you recall from my question it wasn't  
15 just limited to the integrated resource planning  
16 process. It included integrated resource planning  
17 combined with the outcome of competitive bid and the  
18 process of estimating avoided costs, and would your  
19 answer be any different if we combined those two other  
20 aspects of the process?

21 A. No. I am aware of what your question was  
22 and again I am saying when you tried in your own words  
23 to bring those three processes together, I tried to be  
24 responsive and say that the first of those three

25 processes is not enough to justify the prudence of the

(MOAST - CROSS BY VAN NOSTRAND)

2853

1 acquisitions. So, to say that since the first process  
2 provides some sort of quasi-evaluation or basis for  
3 avoided costs and that those avoided costs are the only  
4 thing that's going forward into the IRP process, in  
5 addition to the company's evaluations of what its needs  
6 are, I don't see that the IRP process is enough for  
7 justifying the prudence of specific resource  
8 acquisitions. The company must prove that each  
9 resource that it acquires is the best match to the  
10 company's needs and to show that if it isn't that  
11 there's no harm done to ratepayers, that if they  
12 acquire a resource that potentially puts ratepayers at  
13 risk of the resource plan process doesn't look at that.

14 Q. Look for a moment at the projects  
15 identified in your testimony, they would be the Sumas  
16 Encogen, Tonaska and March Point cogeneration projects;  
17 is that right?

18 A. First part again?

19 Q. Particular projects you identified --

20 A. Were you referring me to a point in my  
21 testimony?

22 Q. No. Just speaking generally of the  
23 projects rather than the general concept of prudence?

24 A. Yes.

25 Q. And you reviewed the information provided

(MOAST - CROSS BY VAN NOSTRAND)

2854

1 by the company in response to data request 1141

2 through 1145; is that right?

3 A. Correct.

4 Q. And has the staff identified any problems

5 with the location of these particular projects in

6 terms of all being on the west side of the Cascades?

7 A. That is a factor that Mr. Lauckhart in

8 deposition testimony identified as a virtue of the

9 projects.

10 Q. And what is staff's view as far as the

11 location of the projects? Is there a particular

12 problem with the location?

13 A. That's a broad question. I don't know if I

14 am suitable to identify at this point in time or

15 Monday morning quarterback the locational decisions

16 that Puget uses in selecting its resources. I think

17 that Puget's -- the burden of proof is on Puget to

18 prove that those locations are the best. I don't

19 think that I can answer that for you.

20 Q. Would you have any basis for disputing

21 Mr. Lauckhart's characterization of the location as

22 being a virtue?

23 MR. TROTTER: Object to the question. The

24 very -- one of the main points that the staff is

25 making here is that the staff asked for information

(MOAST - CROSS BY VAN NOSTRAND)

2855

1 and the company did not supply the information. Now  
2 we're being asked do we have any problems with various  
3 aspects of it and we can't respond because we didn't  
4 get the information. So I am going to object to the  
5 question because it lacks a foundation, foundation  
6 being that the company did not provide the information  
7 in the first place.

8 JUDGE HAENLE: Mr. Van Nostrand?

9 MR. VAN NOSTRAND: I think Mr. Moast knows  
10 where these projects are. I am not going to be asking  
11 him any questions about information that he doesn't  
12 already have. I do believe he knows where these  
13 cogeneration projections are located.

14 MR. TROTTER: But the data request that are  
15 exhibits in this case asked the company to provide the  
16 basis for their selection of these projects and  
17 basically the prudence of these projects and we didn't  
18 get anything. And so if the company had given us  
19 detailed analysis about location of these projects and  
20 how that is an asset or an evidence of prudence that  
21 would be one thing, but we don't have that, so it's  
22 very difficult for the staff to respond based on  
23 information that was asked for and not provided.

24 JUDGE HAENLE: Well, I will overrule the

25 objection in terms of the reference to testimony

(MOAST - CROSS BY VAN NOSTRAND)

2856

1 that's already come into this hearing by

2 Mr. Lauckhart. Do you have any thoughts on that

3 aspect of it, Mr. Moast?

4 THE WITNESS: I will try to be responsive  
5 to the question if you bear with me.

6 A. The location of these powered projects are  
7 within Puget Power's service territory. To my  
8 knowledge, Puget is undergoing extensive transmission  
9 and distribution upgrades in construction to take  
10 advantage of the location of those projects within  
11 their territory and it's one of the reasons that we  
12 think that the 6.1 percent line loss assumption is  
13 valid since it is those projects would contribute to  
14 the reduction of line losses. However, I do think that  
15 there are other locations that should also be  
16 considered in need of local distribution within Puget  
17 Power's service territory. So, since all of these  
18 projects are in the northern part of Puget's service  
19 territory in Whatcom and Skagit County, it doesn't  
20 necessarily mean that locating 600 megawatts of  
21 capacity in the top half of your service territory is a  
22 virtue in and of itself, if you exclude all the other  
23 parts of your service territory.

24 Q. As far as the particular developers which

25 Puget has contracted with to purchase the output of

(MOAST - CROSS BY VAN NOSTRAND)

2857

1 these projects, has staff identified any particular  
2 problems with using developers such as Enserch and  
3 Mission Energy?

4 MR. TROTTER: Your Honor, if I could have a  
5 continuing objection to this type of question.

6 JUDGE HAENLE: Mr. Van Nostrand, has that  
7 been addressed by your answers?

8 MR. VAN NOSTRAND: That's certainly part of  
9 the information that was provided that bears on this  
10 issue is who the developers are.

11 JUDGE HAENLE: My question was: Have your  
12 witnesses addressed this issue of who the developers  
13 are and why the company might feel that that's an  
14 advantage?

15 MR. VAN NOSTRAND: It's in Mr. Moast's own  
16 exhibit. As far as --

17 JUDGE HAENLE: Let me try this again. Have  
18 your witnesses addressed the issue of who the  
19 developers are and why that might be an advantage or  
20 disadvantage?

21 MR. VAN NOSTRAND: We have addressed who  
22 the developers are, yes.

23 JUDGE HAENLE: And why that might be good  
24 or bad?

25

MR. VAN NOSTRAND: I believe that's part of

(MOAST - CROSS BY VAN NOSTRAND)

2858

1 the information in response to data request 1141  
2 through 1145 which is Mr. Moast's exhibit. That's  
3 part of this information that was provided.

4 MR. TROTTER: Maybe we can go to an  
5 example, your Honor. If you look at page -- turn to  
6 Exhibit 784 and, I guess, attachment 1, which is the  
7 final results ranking information and we have, on the  
8 second page of that, a summary of the evaluation  
9 criteria which includes the ability of the project to  
10 respond to deliver as promised. We have that  
11 information. We understand that it was examined but  
12 we don't have the type of detailed analysis of that  
13 which we asked for and didn't get. And we could go  
14 down to the same type of information on many of these  
15 issues were asked for and all we get is extremely  
16 general categorical responses. So to ask this witness  
17 what he thinks about the developers when you ask for  
18 detailed information and didn't get it, combined with  
19 the exhibits that were entered today that indicate the  
20 staff did not do prudence evaluation on its own, it  
21 had to rely on the company for the information and  
22 didn't get it, this is just -- it's very difficult for  
23 staff to respond to this kind of question in that  
24 context.

25

MR. VAN NOSTRAND: My point, your Honor, is

(MOAST - CROSS BY VAN NOSTRAND)

2859

1 to try to determine what it is in terms of shortage of  
2 information when the company provides a description of  
3 Enserch Development Corporation and says this is a  
4 developer of a project is that should we be -- I mean  
5 is staff expecting us to go into some detail about who  
6 Enserch is and we identified that Mission Energy and  
7 Texaco developed the March Point project. And I think  
8 I am trying to discover whether or not staff believes  
9 that there is a burden to go into some detail about  
10 who Enserch is and who Mission Energy is and who  
11 Texaco is as part of this process. If I could get  
12 some indication that the staff has a problem with  
13 these particular developers then we would have some  
14 idea of what it is the burden of proof that we have to  
15 satisfy regarding that issue. I am trying to narrow  
16 the issues in terms of where it is staff feels the  
17 showing has been insufficient.

18 JUDGE HAENLE: I would overrule the  
19 objection as long as some information has been  
20 provided. However, I don't know the manner in which  
21 the Commission will evaluate that information. I  
22 would like to hear if the staff has comments on those  
23 aspects of the projects, but that doesn't shift the  
24 burden from the company to demonstrate their prudence,

25 obviously. Go ahead, sir. Do you recall the

(MOAST - CROSS BY VAN NOSTRAND)

2860

1 question?

2 THE WITNESS: Yes, I hope I do.

3 A. If my answer doesn't reflect responsive,  
4 please let me know. One of the criteria that the  
5 company should review in any project proposal, be it if  
6 it's building its own project and it's looking to  
7 subcontract out to constructors, or builders of a power  
8 project, or if it's looking at going on out and buying  
9 power, it should evaluate the reliableness, the  
10 credibility and the track record of any vendor to  
11 perform. So to that extent I believe that Puget  
12 should review these criteria with any vendor be it to  
13 build a project for them or to build a project that is  
14 going for a third party that is going to ultimately  
15 be sold to Puget Power. With regard to Mission  
16 Energy, Texaco and Enserch, I personally have not  
17 reviewed the credibility or the reliability of the  
18 track record of these project developers. I assume  
19 that Puget has, although they haven't displayed that  
20 review to me.

21 Q. Would you agree that the track record of  
22 the developer is an evaluation criteria in the  
23 competitive bidding process?

24 A. Yes. It is not the only criteria but it is

25 one criteria.

(MOAST - CROSS BY VAN NOSTRAND)

2861

1 Q. As far as the security arrangements for the  
2 projects where the purchased prior is levelized front  
3 loaded, has there been any particular problem  
4 identified with security arrangements?

5 A. There's a history to that question with  
6 each of the projects that you referred to. To my  
7 recollection there have been contract amendments made  
8 and filed with the Commission regarding Enserch, and  
9 Tonaska in particular with regard to changes in the  
10 security provisions and the right to cure as required  
11 by the banks, the lending banks, that are financing  
12 these projects. So, to that extent, it is an  
13 important issue and I am familiar with it as those  
14 amendments have come into the Commission.

15 Q. As far as the steam host for these  
16 particular projects, the oil refineries for Tonaska  
17 and March Point, does staff have any particular  
18 problem with these hosts as criteria for a  
19 cogeneration facility?

20 A. Good question. One of the virtues of the  
21 bidding process is that the company go out and  
22 identify high efficiency cogeneration, and to my  
23 knowledge these projects are not high efficiency  
24 cogeneration. The steam hosts also include Sumas

25 which was originally proposed just prior to the first

(MOAST - CROSS BY VAN NOSTRAND)

2862

1 bidding process as a wood waste burning process at 50  
2 megawatts and after the contract was signed I believe  
3 a year and a half later, thereabouts, the contract  
4 amendment came in upgrading the project to 110  
5 megawatts and converting it to a natural gas facility  
6 and using the steam, waste steam, as a kiln drying  
7 facility to dry lumber in a warehouse located on the  
8 site. So in response to your question about my opinion  
9 on steam hosts, I have mixed feelings about the issues  
10 associated with high efficient cogeneration and to what  
11 extent these facilities do, in fact, meet the criteria  
12 of the contracts for qualifying them as cogeneration  
13 units as opposed to PURPA machines in the spirit of the  
14 bidding process, and some of these projects, by the  
15 way, including Sumas and Tonaska and March Point were  
16 not part of the bidding process. To my knowledge only  
17 Encogen was signed under the bidding process.

18 Q. You would disagree that it's a requirement  
19 of the contract that the facility be a qualifying  
20 facility at the time that it enters service?

21 A. That's one of the contract provisions.

22 Q. As far as the length of a particular  
23 contract for these resources, does staff believe that  
24 the company should be contracting for longer or shorter

25 periods than the lengths chosen?

(MOAST - CROSS BY VAN NOSTRAND)

2863

1 A. I think the company should be contracting  
2 for resources that it needs regardless of what time  
3 horizon. And those time horizons of the contracts  
4 should match the company's needs in a least cost  
5 manner.

6 Q. Are you familiar with the particular fuel  
7 supply arrangements for these contracts as far as the  
8 firmness of the gas supply?

9 A. To some extent. Again, I think those  
10 supplies have changed over time. To my recollection  
11 since I've been here at the Commission I understand  
12 that the Encogen gas supplies have changed at least  
13 once, maybe twice, with regard to who the gas supplier  
14 was going to be and we did have some concerns that the  
15 changing of the suppliers compromised the reliability  
16 of Encogen to perform under its contract.

17 Q. How about the other projects?

18 A. I don't know who is providing the natural  
19 gas to Tonaska. To my knowledge Sumas has lined up a  
20 firm supply -- well, put it this way. Sumas has lined  
21 up a certain amount of capacity or deliverability from  
22 a proposed developing field up in Canada. To my  
23 knowledge, I don't know if it's been proven out that  
24 the field that's slated to supply natural gas to Sumas

25 has been proven -- has developed prudent reserves for

(MOAST - CROSS BY VAN NOSTRAND)

2864

1 the full term of the contract but that Sumas is hoping  
2 that eventually the field will be able to provide  
3 adequate deliverability for the duration of the  
4 contract but I don't think it's been proven yet.

5 Q. As far as the risks of construction or  
6 permitting and licensing the various projects, is  
7 staff satisfied that the way the risks are allocated  
8 under the company's power purchase agreements is  
9 acceptable?

10 A. Would you please clarify that with regard  
11 to risk of permitting vis-a-vis the terms of the  
12 contract. I don't think I understand your question.

13 Q. Does the developer bear all the risks of  
14 construction and of paying the necessary permits and  
15 licenses to construct and operate the project?

16 A. I am not sure to what extent it's the  
17 developer's obligation to obtain all permitting  
18 process. I think that is the case but I don't recall.  
19 I know through my reviewing of these contracts in PRAM  
20 2 with regard to Encogen and Sumas there was a litany  
21 of permits in these projects. Some of the permits  
22 they received, some of them they were in the process  
23 of receiving, some of them they hadn't applied for.  
24 The fact that they're paying for all of these permits

25 and that if they don't get the permits they're liable

(MOAST - CROSS BY VAN NOSTRAND)

2865

1 for the costs of not -- having paid for the  
2 development of the project and not being able to sell  
3 the power, I assume that's the case, subject to check.

4 Q. And in staff's view is that an acceptable  
5 way to allocate the risks of permitting and licensing  
6 the construction?

7 A. Yes.

8 Q. And these contracts typically include  
9 contract deposits to secure performance of the  
10 developer prior to commercial operation; is that  
11 right?

12 A. You mean as security provisions?

13 Q. Yes. Actually, there's a security  
14 provision for the whole payment amount and there's  
15 also the contract deposit to insure that the project  
16 comes on-line around the commercial operation date;  
17 isn't that right?

18 A. Not as clear on the contract deposit terms  
19 for all of those projects but I will accept that  
20 subject to check.

21 Q. Your testimony addresses the contract  
22 deposit provision as far as the Tonaska project,  
23 though, doesn't it?

24 A. Yes.

25 Q. And is staff satisfied that these contract  
(MOAST - CROSS BY VAN NOSTRAND)

2866

1 deposit provisions are adequate?

2 A. I don't recall.

3 Q. If we could look for a moment at your  
4 Exhibit 780 which discusses the payment that Tonaska  
5 would have to make in the event the project doesn't  
6 come on-line by the anticipated commercial operation  
7 date. And doesn't this exhibit show that the six  
8 months -- that if Tonaska is six months late, that it  
9 would be required to pay \$1.2 million?

10 A. Yes.

11 Q. So you're somewhat familiar with the  
12 contract deposit provisions?

13 A. This does not refer to contract deposits.  
14 This is referring to the extension payment that  
15 Tonaska would be paying or crediting against their  
16 bills that they would be rendering to Puget if they  
17 were late in bringing -- if their project achieved  
18 commercial operation after April 1, 1994.

19 Q. Regardless of what you want to call it,  
20 you're fairly familiar with the provisions that relate  
21 to the payments that the developer would have to make  
22 if it doesn't bring the project on-line by the  
23 anticipated date of commercial operation?

24 A. Yes.

25 Q. In staff's view, are these provisions

(MOAST - CROSS BY VAN NOSTRAND)

2867

1 adequate?

2 A. No. To the extent that the amount of  
3 revenue that the developer over the life of the  
4 contract will be expected to recover from Puget, this  
5 amount probably is insignificant in the big picture  
6 over the life of the contract.

7 Q. Would you agree this amount has some  
8 relationship to the damages that Puget would incur for  
9 the project coming on-line late?

10 A. Puget hasn't displayed to me that there's  
11 any connection between this extension payment  
12 calculation and any damages that they would be looking  
13 at.

14 Q. In your view the extension payment should  
15 be tied rather to what the developer would make as a  
16 profit over the life of the contract. Is that what  
17 you stated earlier?

18 A. Would you restate that question, please.

19 Q. Yes. I am trying to determine, in your  
20 view you believe that payment should be measured  
21 according or by reference to what the developer would  
22 make as a profit over the life of the contract? Is  
23 that what you stated earlier?

24 A. No. My exhibit is provided in support of

25 the argument that there is not -- this extension

(MOAST - CROSS BY VAN NOSTRAND)

2868

1 payment does not provide financial incentive to  
2 Tonaska to be timely in the bringing of its project  
3 into commercial operation in a timely manner. That's  
4 the purpose of this exhibit.

5 Q. A \$1.2 million penalty for being six months  
6 late is not sufficient in your view, is that your  
7 testimony?

8 A. As my exhibit shows, for one month's sale --

9 JUDGE HAENLE: I'm sorry, let's start with  
10 a yes or no and then explain, please.

11 THE WITNESS: I'm sorry.

12 A. Would you please restate the question.

13 Q. It's your testimony that a \$1.2 million  
14 payment for being six months late is an insufficient  
15 penalty; is that right?

16 A. That's correct. I would like to go further  
17 then and say that as I show in my Exhibit 780 that  
18 \$1.2 million is approximately 20 percent of the bill  
19 that Puget will be paying to Tonaska for one month of  
20 power sales. So in other words, Puget, for the life  
21 of the contract -- for the first year of this contract  
22 will be paying to Tonaska \$6 million a month a year  
23 for the entire contract year and that those rates --  
24 the rate that those purchases are based escalate over

25 time so that that \$6 million a month that Puget pays

(MOAST - CROSS BY VAN NOSTRAND)

2869

1 to Tonaska for power goes up over the next 20 years of  
2 the contract.

3 JUDGE HAENLE: How much more do you have,  
4 Mr. Van Nostrand?

5 MR. VAN NOSTRAND: I believe I'm finished,  
6 your Honor.

7 JUDGE HAENLE: Have you questions,  
8 Mr. Trinchero?

9 MR. TRINCHERO: One moment. No questions,  
10 your Honor.

11 JUDGE HAENLE: Have you questions,  
12 Mr. Meyer?

13 MR. MEYER: No questions.

14 JUDGE HAENLE: I indicated when we went on  
15 the record that you would be appearing, as we  
16 discussed, later than 9:00. You are now here and you  
17 are representing Washington Water Power?

18 MR. MEYER: I am.

19 MR. PAINE: No questions.

20 JUDGE HAENLE: Does the Navy have  
21 questions?

22 MS. GIANULIAS: Yes.

23 CROSS-EXAMINATION

24 BY MS. GIANULIAS:

25 Q. Mr. Moast, the company's proforma

(MOAST - CROSS BY GIANULIAS)

2870

1 adjustment for the revenue effect of -- adjustment for  
2 the revenue effect of normalizing temperature assumes  
3 line losses of 7 percent; is that correct?

4 A. That is correct.

5 Q. I take it that the staff does not agree  
6 with Puget's 7 percent line loss assumption?

7 A. That is correct.

8 Q. Am I correct in stating that the percentage  
9 of line losses realized by Puget has declined steadily  
10 since 1989?

11 A. You're correct.

12 Q. The company's actual 1992 line losses were  
13 6.1 percent; is that correct?

14 A. Yes.

15 Q. Is it true that line losses for Puget have  
16 not been at or above 7 percent since 1989?

17 A. Yes.

18 Q. Generally speaking, improvements to  
19 transmission and distribution facilities typically  
20 result in decreases in line losses; is that correct?

21 A. Correct.

22 Q. Since 1989 the company has improved and  
23 added to its transmission and distribution facilities  
24 within its service area and continues to improve these

25 facilities; is that correct?

(MOAST - CROSS BY GIANULIAS)

2871

1 A. Yes.

2 Q. So taking into consideration Puget's  
3 improvement in its transmission and distribution  
4 system, in your opinion, is it likely that Puget's  
5 line loss percentage will increase to the 7th percent  
6 level projected by the company?

7 A. No.

8 MS. GIANULIAS: No further questions.

9

10 CROSS-EXAMINATION

11 BY MR. ADAMS:

12 Q. Morning.

13 A. Morning.

14 Q. Like to pick up on that same topic of line  
15 losses and referring you to the top of page 6 of your  
16 testimony where you indicate the staff's proforma  
17 temperature adjustment. Are you the staff witness  
18 responsible for the staff's temperature adjustment?

19 A. Yes.

20 Q. I believe that's reflected as item 2.04 in  
21 Mr. Martin's results of operations?

22 A. Yes.

23 Q. Now, as I understand it staff's adjustment  
24 -- this is the temperature adjustment, would increase

25 revenues by \$25.6 million, correct?

(MOAST - CROSS BY ADAMS)

2872

1 A. Subject to check, correct.

2 Q. And the effect on net operating income is  
3 an increase of \$16.2 million. Would you accept that  
4 subject to check?

5 A. Yes.

6 Q. And as I understand it, these amounts are  
7 different from the temperature adjustment shown by the  
8 company in Mr. Storey's exhibit. Would you agree?

9 A. Yes.

10 Q. My understanding of the similar proposed  
11 adjustment for the company reflected in Mr. Storey's  
12 Exhibit 558 would be a revenue increase of \$28.4  
13 million and a net operating income increase of \$17.9  
14 million. Would you accept those subject to check?

15 A. Yes.

16 Q. Is the difference between the staff  
17 adjustment and the company adjustment the difference  
18 on the line losses that you just discussed?

19 A. Yes.

20 Q. With respect to the temperature adjustment  
21 itself, did you make any change to the adjustment for  
22 temperature on the amount of energy generated,  
23 purchased and interchanged?

24 A. We made recommendations that certain

25 projects be excluded from the PRAM 3 process, but

(MOAST - CROSS BY ADAMS)

2873

1 other than that, no, we have not made any changes.

2 Q. With the change in line losses that you  
3 recommended, do you believe that the temperature  
4 adjustment method used by the company is a reasonable  
5 method for calculating weather normalized loads and  
6 revenues?

7 A. Based on the review that I did, I couldn't  
8 come up with anything to dispute with it. I would say  
9 yes.

10 Q. Now, would you turn to page 20 of your  
11 testimony. Actually just a general reference to the  
12 area you discuss secondary sales and secondary  
13 purchases of PRAM simplified model. Do you recall  
14 that?

15 A. I have it.

16 Q. Would you agree that your concern with the  
17 company's method of calculating average secondary  
18 power rates is that it overstates the cost of  
19 secondary purchases and understates the revenue from  
20 secondary sales?

21 A. Yes.

22 Q. And you recommend that separate purchase  
23 rates and sales rates be used in the simplified  
24 dispatch model to set PRAM rates, correct?

25 A. Yes.

(MOAST - CROSS BY ADAMS)

2874

1 Q. Would you agree that you and Dr. Blackman  
2 have identified the same problem in the company's  
3 simple dispatch model in that in recommending the use  
4 of separate purchase and sale rates you are proposing  
5 similar solutions to the problem?

6 A. Yes.

7 Q. Now, is it correct that you proposed to  
8 calculate separate secondary purchase and sale rates  
9 by developing price spread factors using historical  
10 prices and applying those factors to the average  
11 secondary rate for any particular month?

12 A. Correct.

13 Q. If you would look at your Exhibit 782,  
14 PJM-4 -- page 4, in this exhibit you calculate the  
15 secondary sales factor at 107.4 percent; is that  
16 correct?

17 A. On page 4?

18 Q. I may have given you the wrong page number.

19 A. Page 6?

20 Q. Yes. There you calculate the secondary  
21 sales factor at 107.4, correct?

22 A. Yes.

23 Q. Does that mean that on average over the  
24 years 1991 and 1992 the secondary sales rate was 107.4

25 percent of the weighted average of sales and purchase

(MOAST - CROSS BY ADAMS)

2875

1 rates?

2 A. Yes.

3 Q. And you used the same method to calculate

4 the secondary purchase factor of 87 percent?

5 A. Yes.

6 Q. These price spread factors would be used

7 for the purpose of projecting secondary purchase costs

8 and secondary sales revenues for each upcoming PRAM

9 period; is that correct?

10 A. Yes.

11 Q. Now, looking at page 8 of this exhibit, the

12 box at the top section contains projected secondary

13 purchase and sales rates for the first three months of

14 the PRAM 3 period, correct?

15 A. No. I would like to clarify that. This

16 table here is provided only to show that as simplified

17 dispatch model as it's currently programmed already is

18 fully capable of handling secondary sales and

19 secondary purchases that are separate and distinct.

20 These are not numbers that I use -- only for no other

21 purpose than examples. These are not based on any

22 sort of projections but I would be glad to provide

23 those.

24 Q. Were those numbers calculated using the

25 price spread factors?

(MOAST - CROSS BY ADAMS)

2876

1 A. These numbers that are shown in the boxes  
2 weren't but other prices that would be -- could be  
3 used that are based on the price spread factor. Again  
4 these numbers are only provided for examples and I  
5 believe I used Puget's numbers and just differentiated  
6 a two mill ramp-down, I think, for secondary sales  
7 rate. That was just for example purposes.

8 Q. Have you prepared projected secondary rates  
9 for the PRAM 3 period?

10 A. No, I haven't.

11 Q. As I understand your testimony, these price  
12 spread factors would be used solely for projecting  
13 future secondary rates; is that correct?

14 A. That is correct.

15 Q. And the secondary rates used in PRAM true-  
16 up would be based on the actual secondary purchase and  
17 sales transaction?

18 A. Yes, under recommended modification of  
19 Puget's current way of identifying and distinguishing  
20 between the factors that contribute to secondary sales  
21 versus secondary purchases.

22 Q. Could you turn now to page 7 of Exhibit 782  
23 and is your proposed method of calculating actual  
24 secondary rates for PRAM true-ups illustrated on page

25 7?

(MOAST - CROSS BY ADAMS)

2877

1 A. Yes.

2 Q. As I understand it the company's method of  
3 calculating a weighted average secondary rate is  
4 illustrated in part 1 of that page and your method of  
5 calculating separate purchase and sale rates is  
6 illustrated in part 2; is that correct?

7 A. Yes.

8 Q. Looking at part 2, your method where your  
9 method is illustrated, do you see line 8 which is  
10 marked CT total load?

11 A. Yes.

12 Q. And the amount for the month of October  
13 1991 is 3,747, correct?

14 A. Correct.

15 Q. Am I correct that represents energy from  
16 the dispatch of the company's combustion turbines?

17 A. Yes.

18 Q. Do the amounts on that line include  
19 operation of combustion turbines for emergency backup  
20 service?

21 A. Subject to check I will say yes.

22 Q. In general, would the cost per kilowatt  
23 hour of emergency backup energy be more or less than  
24 the cost per kilowatt hour of normal combustion

25 turbine energy?

(MOAST - CROSS BY ADAMS)

2878

1 A. I don't know. It could be higher for  
2 emergency backup purposes.

3 Q. Would you not assume that it would be?

4 A. I would rather not assume that it would be.  
5 It depends on market conditions at the time that the  
6 gas is being purchased but it could be.

7 Q. In a month when the company is purchasing a  
8 lot of secondary power or running its combustion  
9 turbines to a large extent, would the inclusion of  
10 emergency backup costs produce a large distortion in  
11 the average secondary rate?

12 A. Yes.

13 Q. Why would it?

14 A. I'm sorry, maybe I misunderstood your  
15 question.

16 Q. You're running it a lot already and now you  
17 have to use it for emergency. Would you not agree  
18 that you would not?

19 A. I misunderstood you. I thought you were  
20 asking me if you had to use a lot for emergency  
21 purposes only would it cause a distortion in the rate.

22 Q. No. Assume that it's being run a lot and  
23 you have to use it for some emergency use, would you  
24 agree that it would not?

25           A.     Then it would not.  I misunderstood your

(MOAST - CROSS BY ADAMS)

2879

1     question.

2           Q.     On the other hand, when you have a month  
3     when the company is purchasing or generating very  
4     little secondary power, in that situation could the  
5     emergency backup costs distort the average secondary  
6     purchase rate?

7           A.     Yes.

8           Q.     Now, it is correct, is it not, that the  
9     simple dispatch model and in that model some amounts  
10    are included at their projected levels rather than  
11    being trued up to actual; is that correct?

12          A.     To my recollection I thought all CTs were in  
13    the true-up period process were trued up to actual, but  
14    I will have to --

15          Q.     I'm sorry.  I didn't mean to tie it  
16    specifically to CTs, but there are some things that  
17    are projected and not trued up, is that not correct?

18          A.     In the company's total resource mix certain  
19    resources are not trued up but remain as projected.

20          Q.     For example, it is possible that in a month  
21    the company might be purchasing a small amount of  
22    secondary power but the simple dispatch model would  
23    calculate a larger amount of purchased power; is  
24    that correct?  Let me give you an example.  For

25 example, if coal plants produced more power than

(MOAST - CROSS BY ADAMS)

2880

1 projected the company's actual secondary purchases  
2 could be less than the purchases calculated by the  
3 simple dispatch model. Would that not be correct?

4 A. If coal projects provide more power than  
5 projected, the simplified dispatch model could, in  
6 fact, show that the company was buying secondary power  
7 when in fact it really wasn't?

8 Q. Correct, or overstate the amount of  
9 purchase.

10 A. Yes.

11 Q. Do you believe that the costs per kilowatt  
12 hour of emergency backup energy is a reasonable  
13 estimate of the rates that Puget would be likely to  
14 pay for secondary purchases from other utilities?

15 A. No.

16 Q. Do you believe that the company can or  
17 should operate its combustion turbines on an emergency  
18 basis instead of purchasing power on the secondary  
19 market?

20 A. I'm sorry, I don't understand the logic of  
21 your question.

22 Q. Would you agree that rather than running  
23 combustion turbines when secondary energy is available  
24 at a lower price, the company should buy secondary

25 energy?

(MOAST - CROSS BY ADAMS)

2881

1 A. Yes.

2 Q. Now, looking at page 3 of the same exhibit,  
3 as I understand this page shows the company's actual  
4 historical secondary purchases and sales; is that  
5 correct?

6 A. Correct.

7 Q. And at the top of the page what is  
8 designated as 293 and 193 are January and February of  
9 this year?

10 A. Correct.

11 Q. Now, looking at the secondary transactions  
12 in the month of January 1993, the line 193, would you  
13 agree that the company purchased 24,648 megawatt hours  
14 of energy in that month and sold 41,762 megawatt  
15 hours?

16 A. Yes.

17 Q. So the net -- for the month as a whole, the  
18 company had a net sale of 17,114 megawatt hours,  
19 correct?

20 A. Yes.

21 Q. And would you agree that in the simple  
22 dispatch model only the net amount of 17,114 megawatt  
23 hours would show up because the simple dispatch model  
24 does not allow for both purchase and sales in the

25 single month?

(MOAST - CROSS BY ADAMS)

2882

1 A. We're talking about in the true-up portion  
2 of the simplified dispatch model now, not on the  
3 projected portion?

4 Q. I think we're talking about the projected  
5 portion.

6 A. Well, if you were using these numbers for  
7 projects all other things being equal I suppose you  
8 could say that that would be the amount that would be  
9 shown as secondary sales.

10 Q. Well, the model does not calculate both  
11 purchases and sales in a single month, does it?

12 A. No, it does not. It just balances the  
13 amount of energy that comes from all of the resources  
14 on a projected basis versus what Puget's projected  
15 needs are going to be and that delta, or difference,  
16 would be either a secondary sales or a secondary  
17 purchase.

18 Q. So it reflected either a purchase for the  
19 month or sales for the month when, in fact, there were  
20 both purchases and sales?

21 A. Yes.

22 Q. Now, in January of 1993 the company had a  
23 net secondary -- was a net secondary seller in the  
24 amount of 17,114 megawatt hours and your exhibit shows

25 that the average secondary sale rate for that month

(MOAST - CROSS BY ADAMS)

2883

1 was 55 mills; is that correct?

2 A. Correct.

3 Q. Now, is it accurate to say that in a month  
4 like this one where secondary sales exceeds secondary  
5 purchases your proposed method of calculating  
6 secondary power costs in the PRAM would involve  
7 multiplying the secondary sale rate by the net  
8 secondary amount for the month?

9 A. Correct.

10 Q. So in this instance, that is January of  
11 1993, the secondary sale amount of 17,114 megawatt  
12 hours would be multiplied times the 55 mill KWH rate  
13 yielding a revenue of \$941,270. Would you accept that  
14 subject to check?

15 A. Correct.

16 Q. And under your method of including  
17 secondary power in the simple dispatch model a net  
18 revenue amount of \$941,000 would be included for that  
19 month; is that correct?

20 A. Correct.

21 Q. Now, looking again at your exhibit. Would  
22 you agree that the company's actual secondary sale  
23 revenue for January 1993 was \$2,297,622 and its actual  
24 secondary purchase cost was \$862,106?

25 A. Correct.

(MOAST - CROSS BY ADAMS)

2884

1 Q. If we do the subtraction would you agree  
2 that the company's actual net secondary revenue that  
3 month was \$1,435,516?

4 A. Yes. And in my proposed method in the  
5 true-up portion those differences would be reflected.

6 Q. In the true-up?

7 A. In the true-up.

8 Q. Because there you would be reflecting  
9 actual?

10 A. Yes, sir.

11 Q. But in the projected, looking ahead, it  
12 would not; is that correct?

13 A. Correct.

14 Q. So in terms of the projection would you  
15 agree that the net secondary revenue calculated by  
16 your proposed method is \$494,246 less than the  
17 company's actual net secondary revenue in the month of  
18 January? That's just the mathematics?

19 A. All other things being equal, subject to  
20 check, I would say yes.

21 Q. I think you indicated that would be trued  
22 up when the actuals reflect --

23 A. Yes.

24 Q. Now, finally turning to the area of

25 prudence, and you discussed this with Mr. Van Nostrand,

(MOAST - CROSS BY ADAMS)

2885

1 where you state that the staff disputes recovery of  
2 some purchased power contract costs not on prudence but  
3 on other grounds, does that statement mean that you  
4 believe that the contracts are prudent or that you have  
5 not reached a conclusion with regard to prudence based  
6 on the evidence that the company has supplied you?

7 A. We have not received enough evidence from  
8 the company to allow us evaluation of prudence.

9 Q. Based on your testimony and your included  
10 exhibit that shows a response from the company, do I  
11 gather that the staff had difficulty in getting this  
12 detail when requested?

13 A. The data responses that we received to our  
14 data requests did not provide us the documentation we  
15 needed.

16 Q. At page 31, starting at line 14, you state  
17 and I quote, "What is needed is a demonstration that  
18 the resource that was acquired from a bidding process  
19 is least cost and that all relevant factors (e.g.,  
20 dispatchability, transmission impacts, other bids,  
21 building options, financial and rate impacts) were  
22 considered in selecting the bid resource."

23 In your opinion has the company made such a  
24 demonstration with respect to any of the new purchased

25 power agreements that it is seeking to include in this

(MOAST - CROSS BY ADAMS)

2886

1 proceeding?

2 A. In our opinion it has addressed certain of  
3 them to some extent but has not addressed all of them  
4 to a satisfactory extent and on some basis these  
5 certain things were not evaluated virtually at all.

6 Q. So basically you don't believe they've made  
7 such a demonstration?

8 A. Yes.

9 Q. Thank you.

10 MR. ADAMS: That's all I have.

11 JUDGE HAENLE: Commissioners, have you  
12 questions?

13 CHAIRMAN NELSON: Yes.

14

15 EXAMINATION

16 BY CHAIRMAN NELSON:

17 Q. Follow up on that last question from  
18 Mr. Adams being concerned about simplification and  
19 the flexibility of the regulatory process. I am a  
20 little concerned about what standard staff is  
21 requiring the company to meet. I guess I am concerned  
22 with that same sentence, Mr. Moast, that the staff is  
23 not trying to establish a kind of gotcha game. At  
24 page 33 the question answered there from line 16 to

25 line 22, I think you elaborate and you say "fully

(MOAST - EXAM BY CHAIRMAN NELSON)

2887

1 provide documentation of its decisionmaking process."

2 I am just wondering what level of detail would really  
3 satisfy the staff because at some level of decision  
4 making one enters the realm of the intuitive and I am  
5 sure at some point there's a judgment from a CEO about  
6 what resource is going to be acquired and so on. And  
7 so I guess that would be the first question is if you  
8 can describe with more specificity what level of detail  
9 would satisfy the staff. And then, second, I would  
10 like to ask a following question but maybe I will wait,  
11 how this will interface, if I can use that awful term,  
12 with market forces. You haven't enough in this case  
13 but can you give me an example of what level of detail  
14 would be satisfactory in this prudence question?

15 A. Yes. The concerns that we have are not to  
16 argue that resources should be disallowed because they  
17 haven't been shown to be prudent. Our concern more is  
18 going on a forward-looking basis setting and  
19 establishing a level of expectation for responsibility  
20 in evaluating the broad range of resources that are  
21 available to the company, in addition to building or  
22 converting existing facilities to combined cycle.  
23 Looking more thoroughly at what the company needs  
24 going on out to the future. Does it need 100 percent

25 capacity factor, purchased power contracts through the

(MOAST - EXAM BY CHAIRMAN NELSON)

2888

1 year or does it really need winter energy and  
2 capacity? And we don't think that the company has  
3 fully explored these considerations prior to entering  
4 into these contracts, and while we're not looking to  
5 disallow them now, we think that the tone should be  
6 set for a level of expectation that a much higher  
7 level of rolling up the sleeves, doing the hard work,  
8 documenting your evaluations is needed in the future.

9           So, with regard to specific examples of  
10 areas where additional work is needed to justify  
11 prudence, we think that identifying what its loads and  
12 energy requirements are going to be in the future is  
13 going to be needed to better identify a good match  
14 between specific resources. Certain resources are 100  
15 take and pay, certain are much more flexibly dispatched  
16 on a ramp up and ramp down basis and better match the  
17 company's needs, and by looking at these things the  
18 company may see opportunities for identifying lower  
19 cost resources that positions them to serving their  
20 needs now and also in the future.

21           Where we stand now is that since they  
22 haven't done that we're in the context of a PRAM we  
23 have a system where these exceedingly high levels of  
24 surplus secondary power being sold off at a secondary

25 rate through the simplified dispatch model. And it

(MOAST - EXAM BY CHAIRMAN NELSON)

2889

1 doesn't seem logical that that should be the way that  
2 that's appropriate in ratepayer's interests. So we're  
3 looking to trying to avoid that in the future.

4 Other areas where the company can do more  
5 is that we feel --

6 Q. Let me just stop you there. Now, you see  
7 you've just called it simplified dispatch model and you  
8 went through a long line of questioning with Mr. Adams  
9 about secondary energy instead of running CTs. How  
10 could we have gotten at that in the planning model at  
11 all? As a post hoc review, Mr. Elgin, when he was on  
12 the stand, said he wanted the Commission to address  
13 reform of a planning process but when you get into  
14 these prudence questions you get into this post hoc  
15 review question and I will tell you it's anything but  
16 simple to listen to you two go at this colloquy and try  
17 to come up with the appropriate system of what  
18 regulatory oversight is in a fast-moving market  
19 environment.

20 A. I agree.

21 Q. There needs to be specificity, I expect,  
22 from the company but we also need to have some  
23 specificity and some rigorous sort of analysis of  
24 how chronologically we go through from the planning

25 process to the state where we are now with this post

(MOAST - EXAM BY CHAIRMAN NELSON)

2890

1 hoc review for the future. And that's what I'm trying  
2 to get at. I don't need a long lecture about where we  
3 are now. What I am trying to get is where we go in  
4 the future with our administrative process. Because,  
5 as we've constructed the least cost planning role of  
6 the competitive bidding rule, which as I seem to  
7 recall, has some notion that the avoided cost will  
8 have some factor, some recognition of what actually  
9 turns up in the competitive bid, to factor into the  
10 next avoided cost determination, we're trying as we've  
11 been doing in the telephone world to navigate between  
12 the good things that the competitive market has  
13 produced and arm's length transactions produce and the  
14 old system of making sure that the company is  
15 efficient and effective for ratepayers.

16 A. I agree. And I believe and I fully support  
17 the market competition recognizing that market  
18 competition and promoting innovation and creative  
19 marketing practices, resource acquisition options, as  
20 well as regulatory review. The world is changing and  
21 the world is fluid, but we -- at the same time I feel  
22 that we cannot let that, allow the company to feel  
23 comfortable that they can collect full recovery of  
24 resource costs if they hadn't reviewed it fully. So we

25 want to just establish a level of expectations that the

(MOAST - EXAM BY CHAIRMAN NELSON)

2891

1 company should be comfortable doing a lot of  
2 documentation as far as what their decisions are based  
3 on, and let us have that, and we haven't received that  
4 information in this rate proceeding vis-a-vis the  
5 reference to acquisitions being consistent with the  
6 least cost plan and leaving it at that. So I agree  
7 with you, it's a fine line and we have to be flexible  
8 and I would like to see now, since they have acquired  
9 all of these resources, to trying to pull together some  
10 sort of firm summer sales package that they can get a  
11 high price for this excess power in the summer and  
12 lowering customers' rates by it.

13 Q. Mr. Moast, we also want to avoid being  
14 micro managerial you would agree, I'm sure?

15 A. I agree.

16 Q. And that's what I am trying to find some  
17 standard for the future. Now, let me just ask you  
18 this as a hypothetical. Could we have a standard in  
19 this jurisdiction where resource is acquired under the  
20 competitive bid are prima facie deemed prudent?

21 A. Yes. With assurance that all of the  
22 factors leading up to the bidding process were  
23 thorough, again, as I said earlier with Mr. Van  
24 Nostrand, that I -- I like to make sure that whatever

25 is being identified as to need that the bid is going

(MOAST - EXAM BY CHAIRMAN NELSON)

2892

1 out to acquire was pretty rigorous with regard to  
2 winter versus summer needs as opposed to peaking  
3 needs. I would like to see some real specificity in  
4 the bid process as far as what they want to get.

5 Q. So once again, the staff's oversight then  
6 would be factored in, you would want a rigorous  
7 documentation of the process leading up to the bid?

8 A. Oh, yeah. Like the IRP process, for  
9 instance, because as it stands now be, that's the  
10 basis for creating the avoided costs which is the  
11 nexus that goes into the bid.

12 Q. Thank you. I will ponder all of this. No  
13 easy answer.

14 COMMISSIONER CASAD: We're all heading down  
15 the same path here so I would like to extend the  
16 discussion of prudence.

17

18

19 EXAMINATION

20 BY COMMISSIONER CASAD:

21 Q. And I get the impression, staff is  
22 indicating that company has provided inadequate  
23 documentation to demonstrate prudence, and I am  
24 wondering what standard is required of the staff to

25 demonstrate imprudence? Is it a given that if the

(MOAST - EXAM BY COMMISSIONER CASAD)

2893

1 company does not demonstrate prudence, therefore,  
2 every resource acquisition for which that  
3 demonstration is not made is automatically imprudent?  
4 What standard exists to demonstrate imprudence?

5 A. It would be a question of -- I don't think  
6 that the first example you cited, Commissioner Casad,  
7 is appropriate for disallowance or a demonstration of  
8 imprudence, I agree. But I do think that a question  
9 of degree would be the consideration as far as to what  
10 extent was there a negative consequence to ratepayers  
11 or to the environment or whatever, but we will use the  
12 example of ratepayers, if a certain acquisition  
13 resulted in some sort of excessive negative consequence  
14 to ratepayers, we think that that would be something  
15 that we would hope would have been caught before it  
16 occurred so that things got weeded out.

17 Q. I share your view or I expect that that is  
18 your view. I share your view that it is improper to  
19 attempt to provide preapproval. I think that's  
20 improper. I share your view that the Integrated  
21 Resource Plan in and of itself isn't enough to  
22 demonstrate prudence. I don't believe that's true.  
23 But conversely, there is an obligation to determine  
24 realistic prudence and by realistic prudence I do not

25 mean Monday morning quarterbacking, reasonable

(MOAST - EXAM BY COMMISSIONER CASAD)

2894

1 decisions that utilities managers made at the time that  
2 they made them. I mean, let's take an example. If a  
3 prudent utility or reasonable utility manager made a  
4 resource acquisition decision which, at the time it was  
5 made, was reasonable, and then circumstances which  
6 occurred thereafter demonstrated a loss for reasons  
7 which were beyond that reasonable utility manager's  
8 control, I would not consider that imprudence. Would  
9 you consider that imprudence?

10 A. I would not consider that imprudence.

11 Q. How do you differentiate, then, that which  
12 is a reasonable decision? And these are difficult  
13 issues. Talking about secondary power source and  
14 you're talking about capacity contracts. If capacity  
15 were acquired or secondary sales were made at a rate  
16 that was advantageous to the ratepayer that would be a  
17 very reasonable prudent decision on the utility  
18 manager's part?

19 A. To be commended and expected.

20 Q. And if for some reason the secondary sales  
21 resulted in a loss or there was no requirement for  
22 that capacity for some reason, then that would be a  
23 bad imprudent decision on the utility manager's part?

24 A. You're using the word "imprudent" without

25 disallowance, not connoting disallowance at this

(MOAST - EXAM BY COMMISSIONER CASAD)

2895

1 point, yes.

2 Q. A lot of things can go either way, can they  
3 not? Depending on things that are really not within  
4 the control of the utility. The utility manager has  
5 an obligation to serve, he has an obligation to insure  
6 that he has adequate energy and capacity to serve the  
7 needs of those within his franchise area. To fulfill  
8 that obligation to serve would you rather fudge a  
9 little bit on the side of having too much or too  
10 little?

11 A. If the energy manager was really trying  
12 hard to keep costs down I would be more comfortable  
13 with him fudging on the side of acquiring a little bit  
14 too much, but it hasn't been shown to me that the  
15 company has rigorously tried to keep costs down.

16 Q. Now, what's the correlation between those  
17 two factors?

18 A. Well, if you try to not acquire resources  
19 that are a bad match to your system needs, if you try  
20 to acquire resources that are --

21 Q. I was trying to -- you're applying a cost  
22 factor -- when you say hold costs down, you mean hold  
23 costs down in resource acquisition or do you mean hold  
24 costs down generally?

25           A.     Both, but I am specifically referring to

(MOAST - EXAM BY COMMISSIONER CASAD)

2896

1     resource acquisition.

2           Q.     Okay, I'm with you now.

3           A.     So with regard to resource acquisition  
4     costs, if a company is very aggressive in monitoring  
5     secondary sales market or spot market, looking at what  
6     its resource supplies are and seeing that it has some  
7     surplus that it can sell at a profit and it's  
8     aggressive, has a track record of trying to do these  
9     things and it's proven through its actions that these  
10    are things that it places priority on with regard to  
11    keeping or crediting ratepayers' costs with these  
12    benefits and benefiting ratepayers then and  
13    occasionally does something that would be deemed  
14    possibly imprudent or didn't -- proof of the pudding  
15    did not turn out the way they thought it would, I think  
16    that's fully acceptable and understandable and  
17    reasonable.

18                         To the extent that a utility manager bases  
19    his decisions or her decisions on what they know at the  
20    time I think then the question is what have they looked  
21    at and have they really tried hard to look at all of  
22    the issues or have they said, Well, this is an  
23    acceptable list of criteria and let's not go any  
24    further, let's make a decision. And then something

25 doesn't pan out and I said you didn't really do all the

(MOAST - EXAM BY COMMISSIONER CASAD)

2897

1 upfront work. And then if something turns out that  
2 it's to the detriment to the ratepayers to be incurring  
3 higher costs that flow through the rates I would have  
4 to to say that next time you should have looked at more  
5 issues and been more thorough in exploring all the  
6 options before you make a similar decision. And if  
7 they don't and that same mistake occurs again, then  
8 we're moving into the realm of is the utility supply  
9 planning process adequate and is it -- or is it  
10 actually displaying imprudence. And again, not on a  
11 first mistake but on a track record of repeatedly not  
12 being rigorous enough in the planning process.

13 Q. So what you're kind of recommending, if I  
14 understand you correctly, is that the fool-me-once-  
15 shame-on-you, fool-me-twice-shame-on-me?

16 A. Yes. It's a more than a Monday morning  
17 quarterbacking it's more of a --

18 Q. Two strikes and you're out. In view of your  
19 approach and your indication that there are some things  
20 that are to be commended, if the utility aggressively  
21 pursues least cost resources and the same utility  
22 demonstrates a particular skill in acquiring purchased  
23 power at extraordinarily reasonable rates and they  
24 demonstrate great skill in moving their secondary power

25 or whatever and power exchanges, whatever kind of

(MOAST - EXAM BY COMMISSIONER CASAD)

2898

1 arrangements exist, they do an extraordinary job there,  
2 is it your view that there should be some incentive or  
3 some reward that utility should receive for doing an  
4 exceedingly good job if, on the other hand, you're  
5 willing to penalize them if they do apparently an  
6 exceedingly bad job?

7 A. That's a good question. Since I'm only a  
8 utility rate research specialist I wouldn't want to  
9 profess policy for the Commission, but I think it's  
10 something that should be reasonably considered, but I  
11 wouldn't want to state policy.

12 Q. That's all I had.

13 A. But I think it's reasonable.

14 Q. Thank you.

15 A. You're welcome.

16 JUDGE HAENLE: Commissioner?

17

18 EXAMINATION

19 BY COMMISSIONER HEMSTAD:

20 Q. You may well have answered this question in  
21 your response to the questions of Chairman Nelson and  
22 Commissioner Casad but I am not sure I understand it.  
23 It's your testimony that the company has not  
24 demonstrated prudence in its resource acquisition

25 program. All right, then, what is, quite

(MOAST - EXAM BY COMMISSIONER HEMSTAD)

1 specifically, the remedy or the consequence of the  
2 sanction for that failure to demonstrate?

3 A. In this rate case?

4 Q. In this rate case.

5 A. We're not recommending disallowance on  
6 basis of prudence of any of the resources. There are  
7 specific resources that are new and haven't come  
8 on-line yet but the company has included in their rate  
9 filing as being projected to come on-line. And they're  
10 recommending that where the costs of those for on a  
11 project specific basis we have found that there's  
12 other reasons that specific projects should not be  
13 included in rates through this proceeding which,  
14 actually will be the PRAM 3 year which runs from  
15 October 1, 1993 it starts, because one of the things in  
16 this rate proceeding is to settle upon a level of  
17 agreement of power resource costs and assumptions that  
18 will be used in the PRAM 3 filing which we've just  
19 received.

20 Q. So in your view even though they haven't  
21 demonstrated prudence they, in effect, get over that  
22 hurdle anyway?

23 A. Yes. With regard to Encogen and Sumas, for  
24 instance, which are two projects that are either just

25 starting and ramping up or imminently going to be

(MOAST - EXAM BY COMMISSIONER HEMSTAD)

1 coming on-line, those projects we are not arguing the

2 prudence of, and they are going to be in PRAM 3.

3 Q. But with respect to the others, at some

4 future date they would be able to --

5 A. Recover costs.

6 Q. -- recover the costs but not -- at least not

7 in this particular proceeding?

8 A. Correct.

9 Q. Well, if the company has overpurchased

10 resources, then it has access to the secondary market

11 to sell that overproduction, and that, I assume, is

12 what -- on page 3 of your Exhibit 782 is showing of

13 the excess of sales overpurchases in the secondary

14 market, isn't it?

15 A. That's one way of doing it. That's what's

16 shown there in the simplified dispatch model as it's

17 currently constructed. There's another way where if

18 there was a substantial amount of, say, summer power

19 that was not needed by the company, the company could

20 consider marketing it as a package of firm or reliably

21 available power to sell at a higher price than the

22 secondary prices in that model. And those firm sales

23 could also be slotted into the simplified dispatch

24 model as a credit against resource costs.

25 Q. Well, what ultimately benefits from those,

(MOAST - EXAM BY COMMISSIONER HEMSTAD)

1 let's assume, excess sales of secondary power --

2 A. It depends.

3 Q. -- as between the ratepayers and the  
4 shareholders?

5 A. It depends on whether the price that the  
6 power is being sold for is higher or lower than some  
7 of the costs incurred in generating the power in the  
8 first place.

9 Q. Well, I'm looking at this exhibit again,  
10 page 3. In each of the years except 19 -- as I read  
11 it, each of the years except 1988 there's a  
12 substantial surplus of power sales over power  
13 purchases?

14 A. That is correct.

15 Q. And but for the exception of 1988 then  
16 those excess power sales would be of benefit to the  
17 ratepayers?

18 A. Not necessarily, sir. If you turn to our  
19 recommendation, for example on the Nintendo sale in  
20 Exhibit 783, page 1, I selected in my  
21 cross-examination with Mr. Van Nostrand that for  
22 purposes of an example the highest price resource that  
23 would be backed off as a credit against Puget's option  
24 to sell or decision to sell firm power to Nintendo, in

25 this example is the Koma Kulshan hydro project, and

(MOAST - EXAM BY COMMISSIONER HEMSTAD)

1 subject to check I could be wrong, my recollection is  
2 that on an average kilowatt hour basis or, I'm sorry,  
3 mill basis, the Koma Kulshan is costing Puget around  
4 55 mills. So in this example, for instance, going  
5 back to your reference on page 3, Puget is paying out  
6 55 mills for power from selected resources, and that  
7 is higher than what they are getting in secondary  
8 sales. So, to an extent that Puget has gone out in  
9 its decision-making process and acquired resources  
10 that they didn't need at higher prices than the  
11 secondary sales, ratepayers are being hurt. To the  
12 extent that they can go out and sell that power for  
13 higher prices than what it is costing them for these  
14 resources ratepayers would benefit.

15 Q. If I understand you, the differential  
16 between the overall purchase price and the sales price  
17 should have been even higher than what is reflected in  
18 this exhibit?

19 A. Secondary sales is what you call a nonfirm  
20 sale. It's like an instantaneous dumping onto the  
21 marketplace of what's not needed or going on out and  
22 trying to buy on an instantaneous basis what you need.  
23 That's just one factor.

24 Q. My point is, if they were let's say

25 imprudent in acquiring those resources then the cost

(MOAST - EXAM BY COMMISSIONER HEMSTAD)

1 or the secondary purchase price or cost would have  
2 lower and the differential then would have been  
3 higher?

4 A. I see. The cost of the resource that Puget  
5 or any utility buys doesn't really have an isolated  
6 resource specific basis, doesn't have an effect on the  
7 secondary sales and purchase. Secondary sales and  
8 purchases is more of a market force dynamic that  
9 reflects a lot of resources, all the coplants, hydro  
10 availability.

11 Q. Let's say that Puget, from your  
12 perspective, has had an element of substantial good  
13 luck with respect to the reality that their sales have  
14 been very attractive over the last several years?

15 A. Could be. It may also be that their  
16 secondary sales are occurring at more desirable times  
17 and at the point in time that they have surplus power  
18 maybe it's more on peak available surplus power, they  
19 can market it at a higher price, but I couldn't justify  
20 that, but there may be many reasons as well as  
21 marketing expertise, although I have seen through my  
22 discovery questions in conversations with the  
23 utilities, other companies seem to be successful in  
24 selling their secondary sales at higher prices than

25 what they're buying. Washington Water Power, for

(MOAST - EXAM BY COMMISSIONER HEMSTAD)

1 instance.

2 COMMISSIONER HEMSTAD: I have no further  
3 questions.

4 JUDGE HAENLE: Anything else,  
5 Commissioners?

6 Have you redirect, Mr. Trotter?

7 MR. TROTTER: Yes.

8 JUDGE HAENLE: Can you estimate how much?

9 MR. TROTTER: 10, 15 minutes.

10

11 REDIRECT EXAMINATION

12 BY MR. TROTTER:

13 Q. Mr. Moast, you were asked questions from  
14 Mr. Adams and Commissioner Hemstad about secondary  
15 purchases and secondary sales. Am I correct that the  
16 essence of your Exhibit 783 is that there have been --  
17 excuse me, 782 -- is that Puget has consistently sold  
18 secondary power at a higher rate than it has purchased  
19 secondary power?

20 A. Yes.

21 Q. Is your proposal here a refinement on the  
22 SDM model?

23 A. Yes.

24 Q. With respect to the new contracts coming

25 into rates, Sumas, Encogen, Tonaska and March Point,

(MOAST - REDIRECT BY TROTTER)

2905

1 would you identify which of those were not obtained

2 through the competitive bidding process?

3 A. Sumas, Tonaska and March Point, I believe,

4 phases 1 and 2 were not acquired through the

5 competitive bidding process.

6 Q. Has Puget always purchased the lowest

7 priced power or DSM that was offered in the

8 competitive bidding process?

9 A. I don't think so.

10 Q. Commissioner Casad identified a prudence

11 review that the review would be made of the decisions

12 made by the company at the time they made it. Do you

13 recall that question?

14 A. Yes.

15 Q. Have you attempted to undertake that

16 inquiry in this case?

17 A. Yes.

18 Q. And am I correct that Exhibit 784 contains

19 a data request essentially asked for that type of

20 information?

21 A. Yes.

22 Q. Mr. Van Nostrand asked you a series of

23 questions regarding features of certain of Puget's

24 contracts. Were your responses based on the

25 information that you were able to obtain from the

(MOAST - REDIRECT BY TROTTER)

2906

1 company?

2 A. Yes.

3 Q. One item was security and contract -- you  
4 mentioned various contract amendments. Were those  
5 amendments -- what contract did you have in mind in  
6 that context?

7 A. Specifically the Tonaska project and the  
8 Encogen projects.

9 Q. And did you ask -- were those amendments  
10 filed with the Commission?

11 A. Yes.

12 Q. Did you ask the company to explain the  
13 purpose of them?

14 A. Yes.

15 Q. Were you provided an explanation or were  
16 you told to read the contract?

17 A. The contracts were provided to us without  
18 any cover letter explaining what was in the contract  
19 amendments and in the case of the Tonaska these  
20 amendments were substantial.

21 Q. Did you ask for an explanation?

22 A. Yes.

23 Q. Were you told -- were you given an  
24 explanation or were you told to read the contract?



25 offsetting factors?

(MOAST - REDIRECT BY TROTTER)

2908

1 A. Yes.

2 Q. Is it your understanding that the staff's  
3 adjustments to rate base meet the proper definition of  
4 a proforma adjustment to the extent they are proforma  
5 adjustments?

6 A. Yes.

7 Q. Staff is concerned that the Black Creek  
8 adjustment does not meet that definition?

9 A. Yes.

10 Q. Would it be fair to say that a  
11 demonstration of prudence would be for Puget to  
12 demonstrate that it adequately considered all  
13 available resource options?

14 A. Yes.

15 Q. Would one such option be the conversion of  
16 Puget's existing turbines to combined cycle?

17 A. Yes, on an individual site-specific basis  
18 each of them has potential. Some of them may be more  
19 beneficial than others.

20 Q. Would another be a hydro firming strategy?

21 A. Yes.

22 Q. Did Puget provide any studies comparing  
23 either of those two options?

24 A. No.

25 Q. Turning to your coal price adjustment. You  
(MOAST - REDIRECT BY TROTTER) 2909

1 were asked a question as to whether or not the  
2 adjustment that staff proposes would encourage the  
3 company to negotiate lower price. Do you recall that  
4 question?

5 A. Yes.

6 Q. In your view should the company operate at  
7 the lowest cost regardless of whether a rate making  
8 adjustment would be made?

9 A. Yes.

10 Q. And similarly, Commissioner Casad mentioned  
11 the prospect of a company that's extraordinarily  
12 successful in purchasing low cost resources. Do you  
13 recall that question?

14 A. Yes.

15 Q. To the extent that that company is correct  
16 that it has concerns about its competitive position,  
17 would its ability to purchase any commodity at an  
18 extraordinarily low price have a reward of improving  
19 its competitive position?

20 A. Yes.

21 Q. Mr. Van Nostrand asked you whether you  
22 considered a visit to the Tonaska site before or after  
23 you distributed your direct testimony. Would you tell  
24 us upon referencing your calendar over the weekend, do

25 you have the date upon which you made the request?

(MOAST - REDIRECT BY TROTTER)

2910

1 A. Yes. I made the request to visit Tonaska  
2 on April 21 when I visited Puget and met with  
3 Mr. Lauckhart. That date precedes the filing of my  
4 direct testimony.

5 Q. Turn to page 10 of your testimony. This  
6 question regards your testimony regarding the  
7 uncertainty of Tonaska's commercial operation date. On  
8 lines 3 to 5 you refer to a prior delay in commercial  
9 operation?

10 A. Yes.

11 Q. Are those dates correct, September 1, 1993  
12 to April 1, 1994?

13 A. Yes.

14 Q. That would be somewhat in the neighborhood  
15 of 18 months?

16 A. Eight.

17 Q. Excuse me, eight months?

18 A. Subject to counting the months.

19 Q. Did you ask the company to document its  
20 estimate of Tonaska's on-line date?

21 A. Yes, I did.

22 Q. Was any documentation provided?

23 A. No.

24 Q. Apart from the on-line date, you have a

25 concern about the synchronization of recovery of this

(MOAST - REDIRECT BY TROTTER)

2911

1 adjustment; is that right?

2 A. Yes.

3 Q. And that concern was reflected by the  
4 Commission in the PRAM 2 order where it adopted your  
5 recommendation regarding Encogen and Sumas?

6 A. That is correct. In my PRAM 2 testimony I  
7 expressed concern that if these projects -- these  
8 projected project costs were included in PRAM rates  
9 prior to the power plants becoming commercially  
10 operable, ratepayers would be paying eight months in  
11 advance of when the power plants would be delivering  
12 -- first began delivering power and that, in fact,  
13 through schedule 100, these costs would be  
14 substantially paid for by ratepayers prior to the  
15 plants coming on-line, because of the timing of the  
16 PRAM year, the PRAM runs from October through  
17 September, therefore, a project that's projected to  
18 come on-line in July at the end of the PRAM year,  
19 July, August and September, last three months of the  
20 PRAM year, are nonheating months. So very little  
21 electricity is needed and sold on Puget's system. But  
22 that those costs would have been paid for throughout  
23 the winter heating season even before the ratepayers  
24 received any benefit from these power plants.

25 Therefore, it was better to address the issue in the

(MOAST - REDIRECT BY TROTTER)

2912

1 following PRAM filing and include the costs in the  
2 true-up portion in the following PRAM year.

3 Q. Finally you were asked some questions about  
4 the proposed 358 megawatt purchase. Do you recall  
5 that?

6 A. Yes.

7 Q. Has such a contract for purchase -- has  
8 such a contract for purchase been signed as of today?

9 A. No.

10 MR. TROTTER: Nothing further, thank you.

11 JUDGE HAENLE: Will there be recross?

12 MR. VAN NOSTRAND: No.

13 JUDGE HAENLE: Recross from anyone?

14 MR. ADAMS: I had one question.

15 JUDGE HAENLE: Go ahead.

16

17 RE CROSS-EXAMINATION

18 BY MR. ADAMS:

19 Q. Perhaps following up a little bit on  
20 questions from Chairman Nelson and Commissioner Casad.  
21 Would you look at Exhibit 784, response to your data  
22 request 1141. And I am looking at page 3 of the  
23 attachment 1 and page 4. There are a series of, if  
24 you will, specific factors of both price and I think

25 there was some nonprice factors listed on those pages.

(MOAST - RECCROSS BY ADAMS)

2913

1 Is it -- is one of the documents there or some of the  
2 information that staff is seeking basically on a  
3 specific project basis an analysis by the company  
4 telling us why, how it rated dispatchability for this  
5 project or not dispatchability, how it looked at  
6 environmental -- in other words, go down the list so  
7 that one knows how the company analyzed each one of  
8 these various criteria?

9 A. Yes, but certain of those issues are more  
10 important than others in the big picture so therefore  
11 certain issues should be reviewed more extensively  
12 than others. Using the word list, I'm kind of not  
13 comfortable with the word list as far as a checklist  
14 as opposed to saying each resource is unique and  
15 provides different benefits and potential risks, and  
16 those benefits and risks on their own merits should be  
17 individually addressed.

18 Q. Am I correct that part of your frustration  
19 was not being able to find that kind of specific  
20 analysis to find out what the company thought about  
21 and analyzed when it made its decision?

22 A. It wasn't provided.

23 Q. And so that is part of your frustration in  
24 trying to review the prudence of these projects?

25 A. Yes.

(MOAST - RE-CROSS BY ADAMS)

2914

1 MR. ADAMS: Thank you.

2 JUDGE HAENLE: Anything more of the  
3 witness? Thank you, sir, you may step down. Take our  
4 morning recess at this time, be back at five minutes  
5 after.

6 (Recess.)

7 (Marked Exhibit T-791.)

8 JUDGE HAENLE: Let's be back on the record  
9 after our morning recess. During the time we were off  
10 the record another staff witness has assumed the  
11 stand.

12 Also during the time we were off the record  
13 I marked for identification a multi-page document. In  
14 the upper right-hand corner has APB-testimony, T-791  
15 for identification.

16 Whereupon,

17 ALAN BUCKLEY,

18 having been first duly sworn, was called as a witness  
19 herein and was examined and testified as follows:

20

21 DIRECT EXAMINATION

22 BY MR. TROTTER:

23 Q. Would you please state your name and spell  
24 your last name for the record?

25           A.     Alan P. Buckley, B U C K L E Y.

(BUCKLEY - DIRECT BY TROTTER)

2915

1           Q.     What's your business address?

2           A.     1300 South Evergreen Park Drive Southwest,  
3 Olympia, Washington.

4           Q.     You're employed by the Washington Utilities  
5 and Transportation Commission as a utility research  
6 specialist; is that right?

7           A.     Yes, I am.

8           Q.     In the course of your duties as a utility  
9 rate research specialist did you have cause to prepare  
10 testimony in this case?

11          A.     Yes, I have.

12          Q.     Is Exhibit T-791 your direct testimony?

13          A.     Yes.

14          Q.     If I asked you the questions that appear in  
15 that exhibit would you give the answers that appear  
16 there?

17          A.     Yes.

18                 MR. TROTTER: Your Honor, I would move for  
19 the admission of Exhibit T-791.

20                 JUDGE HAENLE: Any objection,  
21 Mr. Van Nostrand?

22                 MR. VAN NOSTRAND: No, your Honor.

23                 JUDGE HAENLE: Any objection from  
24 intervenor?

25 Exhibit T-791 will be entered into the

(BUCKLEY - DIRECT BY TROTTER)

2916

1 record.

2 (Admitted Exhibit T-791.)

3 MR. TROTTER: Witness is available.

4

5 CROSS-EXAMINATION

6 BY MR. VAN NOSTRAND:

7 Q. Good morning.

8 A. Morning.

9 Q. Your testimony addresses the company's  
10 proposed elasticity adjustment?

11 A. Yes.

12 Q. Would you agree that a fair definition of  
13 that is that it attempts to capture the anticipated  
14 response of customers to price changes?

15 A. Yes.

16 Q. And a simple example would be that perhaps  
17 a 10 percent price increase does not result in a 10  
18 percent increase in revenues because customers may  
19 adjust their usage in response to a change in prices?

20 A. Yes, with emphasis on the word "may."

21 Q. Would you agree that estimating elasticity  
22 depends upon the analysis of a number of factors?

23 A. Yes.

24 Q. Some of these would be the ability of

25 customers to change their usage, would you agree?

(BUCKLEY - CROSS BY VAN NOSTRAND)

2917

1 A. Yes.

2 Q. And the availability of alternative energy  
3 sources?

4 A. Yes.

5 Q. Prior to your testimony in this proceeding,  
6 did you ever analyze elasticity or make any estimates  
7 regarding the demand elasticities of customers?

8 A. I have not made any adjustments to the  
9 actual elasticity itself. I have used the elasticity.

10 Q. In what context?

11 A. In my previous employment with R.W. Beck  
12 and Associates, I carried out studies where elasticity  
13 estimates have been incorporated into rate design  
14 whenever those were for nonregulated entities, small  
15 PUDs, municipal systems, various other small  
16 nonregulated entities that they did not have the  
17 opportunity to recover monies under a regulatory  
18 process and at the discretion of the personnel in  
19 charge they were incorporated into the rate design.

20 Q. And have you previously presented testimony  
21 anywhere regarding elasticity adjustments?

22 A. No.

23 Q. Have you reviewed the order in the  
24 decoupling proceeding which established the PRAM?

25           A.     No, I have not.

(BUCKLEY - CROSS BY VAN NOSTRAND)

2918

1           Q.     And have you reviewed the orders of the  
2 Commission in the PRAM 1 and PRAM 2 proceedings?

3           A.     I have generally, I guess I would have to  
4 say, reviewed or looked at both of those orders. I am  
5 relatively new at the Commission and have not been  
6 involved in the decoupling proceedings. In a general  
7 sense looked at them but not in any detail.

8           Q.     Do you understand how -- strike that.

9                     Doesn't the PRAM mechanism incorporate  
10 estimates for future periods as part of the annual  
11 adjustment process?

12          A.     Well, it's my understanding that the  
13 process includes proforma adjustments, which under the  
14 Commission's definition, under the WAC rules is known  
15 and measurable. However, as I say in at this  
16 testimony I think the point my recommendation that  
17 this adjustment be rejected is it doesn't meet those  
18 requirement under the proforma rules.

19          Q.     So you are aware as part of the PRAM  
20 procedures, does it not include projections for a  
21 number of customers' power costs and expected  
22 conservation expenditures for a future period?

23          A.     Yes, it does.

24          Q.     And are these the type of adjustments what

25 you would characterize as being proforma adjustments?

(BUCKLEY - CROSS BY VAN NOSTRAND)

2919

1 A. Well, no. I am not testifying here on  
2 whether those particular adjustments are proforma.  
3 What I did here is looking specifically at the  
4 elasticity adjustments as testified by Mr. Hoff and in  
5 the context of this proceeding I looked specifically  
6 at those and felt that they did not meet the proforma  
7 requirements under WAC 480-09-330. And so that's  
8 one of the reasons why of my recommendation in my  
9 testimony that they be rejected.

10 Q. Would the estimates included as part of the  
11 PRAM filings for number of customers, power costs and  
12 expected conservation expenditures, would those meet  
13 the definition of being known and measurable?

14 A. I don't know. I didn't look at those.  
15 Again, I will say that I specifically in this  
16 proceeding looked at price elasticity only.

17 Q. By estimating amounts for future periods  
18 for number of customers, power costs and conservation  
19 expenditures, isn't the effect to reduce the amount of  
20 deferrals, in other words to align as closely as  
21 possible the receipts and allowed revenues in the PRAM  
22 mechanism?

23 A. That's generally my understanding, yes.

24 Q. And you understand the difference between

25 receipts and allowed revenues under the PRAM; is that

(BUCKLEY - CROSS BY VAN NOSTRAND)

2920

1 right?

2 A. Yes.

3 Q. Would you agree that the company's proposed  
4 elasticity adjustments are made also with the intent  
5 of reducing the amount of deferrals under the PRAM?

6 A. That's the result of cross-examination by  
7 Mr. Hoff, I believe is one reason he stated is there  
8 being a reason for that. However, I stated in my  
9 testimony I don't feel like an arbitrary decision or  
10 an arbitrary factor to reduce deferrals is in keeping  
11 in the spirit of either the PRAM or the requirement  
12 under the proforma adjustment requirement.

13 Q. What do you understand the spirit of the  
14 PRAM to be?

15 A. Well, I go back to your last few questions.  
16 I think those are regarding customer counts and such  
17 all I'm saying here that a reason for incorporating  
18 the price elasticity adjustment I do not feel like the  
19 stated intent of reducing deferrals should be a proper  
20 reasoning for the incorporation of the price  
21 elasticity adjustment, the deferrals are the result of  
22 a number of things, temperature, hydro, economic  
23 conditions, they are municipal availability, growth,  
24 customer count. Number of issues.

25 Q. Is your testimony as far as the PRAM goes

(BUCKLEY - CROSS BY VAN NOSTRAND)

2921

1 that increases in the price of electricity will not  
2 cause any changes in usage by customers in response to  
3 those price changes?

4 A. I am saying that the increases -- first of  
5 all, let me go back and state that under the staff's  
6 proposal there is no revenue requirement increase, but  
7 in the event that there was, I am saying that it is  
8 not known and measurable under the proforma  
9 requirements.

10 Q. And on this point your testimony cites a  
11 previous Commission decision which found that  
12 elasticity adjustments were not known and measurable;  
13 is that correct?

14 A. Yes, I reference Cause U-75-40 which is a  
15 Pacific Northwest Bell filing in 1975 where there was  
16 significant discussion and testimony and discussion in  
17 the Commission's orders regarding price elasticity.

18 Q. And that proceeding involved the  
19 application of the Bell Labs' suppression model to  
20 Pacific Northwest Bell service territory?

21 A. Yes, and that's one of the points why I  
22 chose that particular case was trying to point out that  
23 in that cause at the time the Commission specifically  
24 stated that there was a ponderance of testimony about

25 price elasticity. There was three expert witnesses,

(BUCKLEY - CROSS BY VAN NOSTRAND)

2922

1 two statisticians, I think an economist statistician,  
2 there was two models, one Bell model, one by the  
3 company to point out that in spite of the volumes of  
4 testimony that it still came to the bottom line that  
5 these were estimates. They are not known and  
6 measurable and that the Commission, as I state in page  
7 6 of my testimony, there's several quotes there  
8 regarding that order, that the Commission found that  
9 the pre-elasticity adjustments should be rejected.  
10 Again, recognizing that there was a ponderance of  
11 testimony on the subject in that particular proceeding.

12 Q. Didn't that testimony attempt to present  
13 elasticity on something other than a nationwide basis?

14 A. I am not sure of the exact geographic  
15 description of the particular case. Again, I did not  
16 read the testimony in that particular case. I believe  
17 we are trying to get that out of the archives now in  
18 response to one of your data requests, so I would have  
19 to say I don't know.

20 Q. Wasn't the basis for the Commission's  
21 decision that nationwide averages were insufficient  
22 proof of a specific level of demand elasticity in  
23 Pacific Northwest Bell's service territory?

24 A. I think they may have stated that. Whether

25 that's the exact reason for rejecting the elasticity

(BUCKLEY - CROSS BY VAN NOSTRAND)

2923

1 adjustment was more on the basis, as far as I read it,  
2 that in general they're estimates and they don't meet  
3 known and measurable requirements.

4 Q. Are Hoff's elasticity adjustments based on  
5 nationwide averages or on circumstances particular to  
6 Puget's service territory?

7 A. I would have to say my understanding of it  
8 might be a little bit of both. I know particularly  
9 the econometric model that was used specifically to  
10 develop the elasticity factor, but there was also  
11 assumptions regarding end use elasticities in  
12 particular to air conditioning or heating or other  
13 factors that might be the result from nonspecific Puget  
14 customer territory numbers. I would hazard a guess  
15 that it might be a mixture of both but I realize it's a  
16 Puget specific econometric model used to develop the  
17 general price elasticity factors. But where the actual  
18 end use assumptions, end use numbers that were used,  
19 whether they're Puget specific, I cannot say.

20 Q. And back to the Pacific Northwest Bell  
21 proceeding. Was there a revenue recall adjustment  
22 mechanism in the case of that company that would have  
23 captured any over- or underrecoveries in the event  
24 the estimates proved to be wrong?

25           A.     I don't know.

(BUCKLEY - CROSS BY VAN NOSTRAND)

2924

1           Q.     Do you not believe that would be a relevant  
2     consideration in determining whether or not an  
3     elasticity adjustment would be appropriate?

4           A.     Well, I think if I take the source of that.  
5     I know in the Puget case there is a mechanism for  
6     capturing the effects of price elasticity if it indeed  
7     occurs. So I didn't figure it was necessary to go back  
8     and explore in too much detail the particular  
9     proceedings of the Northwest Bell whether there was or  
10    wasn't.

11                   JUDGE HAENLE: Can you concentrate on  
12    speaking slowing for the reporter, please.

13           A.     I am assuming under the regulatory process  
14    that there would be, but again, I am looking at the  
15    Puget case and knowing that under decoupling that  
16    there was a mechanism to recover those revenues, as  
17    Mr. Hoff has stated.

18           Q.     And so you don't -- your testimony is that  
19    it's not important to deciding whether or not to adopt  
20    elasticity adjustment whether or not if that  
21    adjustment proves to be correct, the over- or  
22    underrecoveries to be captured, that's not a relevant  
23    consideration?

24           A.     No. I think I stated that it was a

25 consideration. I think the point is again at this

(BUCKLEY - CROSS BY VAN NOSTRAND)

2925

1 particular time it's not known and measurable, that  
2 under decoupling the mechanism is there for recovery  
3 of revenues that are deferred as a result of not only  
4 price elasticity but all the other issues of it.  
5 Again, that's one reason for my recommendation.

6 Q. Have you done any sort of independent  
7 analysis of the potential revenue impacts that  
8 Mr. Hoff estimates in making his elasticity  
9 adjustments?

10 A. I have looked at the company's responses to  
11 data requests and the information they have regarding  
12 the \$3.3 million revenue impact.

13 Q. And have you made any sort of analysis of  
14 them to determine whether or not you believe they're  
15 correct?

16 A. No. I again made the decision in this case  
17 to not go back and redo Mr. Hoff's work regarding the  
18 use of the econometric model, the use of the  
19 assumptions, the use of his estimates. That does not  
20 form the basis for my rejecting the proposed elasticity  
21 adjustments. Again, I look at his reasons for making  
22 them and to me they backed up my recommendations. For  
23 example, if I look at the optional tariffs, schedules  
24 30 and 48, and looking at this in light of whether it's

25 known and measurable, I notice that these are new

(BUCKLEY - CROSS BY VAN NOSTRAND)

2926

1 schedules. We don't know the customers that are going  
2 over to them. The customer has calculated the  
3 elasticity adjustment by applying -- I have my notes --  
4 they calculate the difference between the tail block  
5 rate and an average rate and then they apply an  
6 elasticity that's derived from an econometric model,  
7 and when those are applied to the estimated number of  
8 customers that are proposed to take that schedule, I  
9 don't consider that a known and measurable amount.  
10 But, no, I did not go back and redo Mr. Hoff's work  
11 papers or studies regarding the derivation of the \$3.3  
12 million.

13 Q. Without having done that, how did you  
14 conclude that a substantial overcollection of revenues  
15 from ratepayers might arise in the event the adjustment  
16 were adopted?

17 A. That was primarily a result, as I believe  
18 I stated in a data response, was from the bench  
19 request No. 510, I believe, where the company was  
20 asked to rerun an exhibit that was presented  
21 incorporating the effects of revenues if rates were  
22 developed incorporating the proposed elasticity  
23 adjustments, but applied to billing adjustments not  
24 adjusted for elasticity, and that would give you

25 essentially an upper end, if you will, of \$3.3 million.

(BUCKLEY - CROSS BY VAN NOSTRAND)

2927

1 It's sort of a reverse calculation of the way Mr. Hoff  
2 calculated the \$3.3 million. What I've said in my  
3 testimony was that is the potential for overcollection  
4 in the event that the customers' response to price  
5 elasticity does not occur as the company projected.

6 Q. So it's the \$3.3 million figure which you  
7 refer to as being substantial?

8 A. I consider that substantial, yes.

9 Q. And if it turned out the customers didn't  
10 react in the way that Mr. Hoff anticipated and this  
11 revenue were collected, do you understand that it  
12 would be returned to customers through subsequent  
13 recoveries under the PRAM?

14 A. Yes, I understand that that's the mechanism  
15 as well as for other costs that go into it.

16 Q. Did the company make a proforma adjustment  
17 to the revenue requirement for the elasticity impact?

18 A. Did the company? Yes.

19 Q. Is the company's adjustment a proforma  
20 adjustment to the revenue requirement?

21 A. No. I'm not an accountant, but no, I don't  
22 believe that they did.

23 Q. It just affects the billing determinants?

24 A. Yes, the billing determinants were

25 adjusted.

(BUCKLEY - CROSS BY VAN NOSTRAND)

2928

1 MR. VAN NOSTRAND: No further questions.

2 JUDGE HAENLE: Before we continue with the  
3 cross-examination let's go off the record to discuss  
4 scheduling, please.

5 (Discussion off the record.)

6 JUDGE HAENLE: Let's be back on the record.  
7 During the time we were off the record we discussed  
8 scheduling and I noted that Pacific Corp and Water  
9 Power, although they were scheduled to go today it  
10 looks like we probably won't get them today. They  
11 have indicated they would be willing to come back on  
12 Wednesday and we appreciate very much their  
13 flexibility. We then agreed that we would take  
14 Mr. Blackman and Mr. Winterfeld on Friday, the other  
15 witnesses on Thursday so that they would not have to  
16 come back three days in a row but only two. Did you  
17 gentlemen have anything to add?

18 MR. MEYER: Just thank you for  
19 accommodating us.

20 MR. PAINE: That will be fine, thank you.

21 JUDGE HAENLE: I agreed to call you  
22 gentlemen and let you know what time we were starting  
23 on Wednesday after the open meeting. Thank you for  
24 your courtesy.

25 Mr. Trincherro, have you questions of the

(BUCKLEY - CROSS BY VAN NOSTRAND)

2929

1 witness?

2 MR. TRINCHERO: No, your Honor.

3 JUDGE HAENLE: Have you questions?

4 MS. GIANULIAS: No, your Honor.

5 MR. ADAMS: No questions.

6 JUDGE HAENLE: Commissioners, questions?

7 CHAIRMAN NELSON: No.

8 JUDGE HAENLE: Do you know how Mr. Hoff  
9 measured any offsetting factors to reduce sales due to  
10 elasticity?

11 THE WITNESS: No, I don't believe he just  
12 adjusted the bill determinants and applied that to the  
13 revenue requirement to determine the rates. I don't  
14 believe there was any offsetting adjustment.

15 JUDGE HAENLE: Thank you.

16 Anything more of the witness?

17 MR. TROTTER: Just one.

18

19 REDIRECT EXAMINATION

20 BY MR. TROTTER:

21 Q. You were asked a question by Mr. Van  
22 Nostrand to the effect that if elasticity -- the  
23 elasticity estimate didn't work out the dollars that  
24 were collected would be returned to the customers. Do

25 you recall that?

(BUCKLEY - REDIRECT BY TROTTER)

2930

1 A. Yes.

2 Q. Would the company have use of that money  
3 and the customers would not have use of that money  
4 until it was returned?

5 A. Yes.

6 MR. TROTTER: Nothing further.

7 JUDGE HAENLE: Anything more of the  
8 witness?

9 Thank you, sir. You may step down. Let's  
10 go off the record to changes witnesses, please.

11 (Marked Exhibits T-792, 793, T-794 and 795.)

12 (Recess.)

13 JUDGE HAENLE: Let's be back on the record.  
14 Before we take the next witness, I might indicate that  
15 what we have just discussed with regard to scheduling,  
16 in my opinion, makes Ms. Williams' production of a  
17 witness on Wednesday unnecessary. I therefore feel  
18 that her motion has become moot. We're going to have  
19 plenty to do without her and so I will call her and let  
20 her know that we do not need to have her produce her  
21 witness on Wednesday but that her witnesses must be  
22 available on Thursday. So I am not going to rule on  
23 the motion one way or the other. I expect that because  
24 we don't need her to bring a witness in, that is not

25 necessary.

(BUCKLEY - REDIRECT BY TROTTER)

2931

1 I had marked for identification a number of  
2 documents as follows:

3 Marked as Exhibit T-792 is a multi-page  
4 document, HL-1 in the upper right-hand corner.

5 793 for identification, HL-2 in 35  
6 schedules, plus an index and some other things.

7 T-794, supplemental testimony in 11 pages  
8 HL-3.

9 And 795, HL-4 which includes schedules, 1,  
10 2, 35 and 36.

11 Looking at this, as I understand the last  
12 schedule of 795 says "confidential" in the upper  
13 right-hand corner. As I understand from the company, I  
14 inquired while we were off the record, Mr. Van  
15 Nostrand has indicated this does not indeed contain  
16 confidential information in the form that it is set  
17 up; is that correct?

18 MR. VAN NOSTRAND: Correct, your Honor.

19 JUDGE HAENLE: On the official copy I will  
20 cross out the confidential indication and ask everyone  
21 else to do the same.

22 Whereupon,

23 HUGH LARKIN,

24 having been first duly sworn, was called as a witness

25 herein and was examined and testified as follows:

(BUCKLEY - REDIRECT BY TROTTER)

2932

1

2

DIRECT EXAMINATION

3

BY MS. GIANULIAS:

4

Q. Would you please state your name for the record and spell your last name?

6

A. Hugh Larkin, Jr. Last name is spelled

7

L A R K I N.

8

Q. Please state your business address for the record.

9

10

A. Business address is 15728 Farmington Road, Lavonia, Michigan 48154.

11

12

Q. Mr. Larkin, are you the same Hugh Larkin whose qualifications are set forth in appendix 1 of Exhibit T-792?

13

14

15

A. Yes.

16

Q. Were Exhibits 792, 793 and 794 and 795 prepared by you under your supervision?

17

18

A. Yes, they were.

19

Q. Do you have any corrections to make to those exhibits at this time?

20

21

A. There are two typographical errors that I noted. On page 6, line 20, schedule 4 should be schedule 3. And on line 12 -- excuse me, on page 12, line 14, schedule 9 should be schedule 8. Other than

22

23

24

25 that I haven't noticed any other corrections that are

(LARKIN - DIRECT BY GIANULIAS)

2933

1 necessary at this time.

2 Q. If you were asked the questions set forth  
3 in these exhibits, would your answers be the same as  
4 today?

5 A. Yes, they would.

6 MS. GIANULIAS: Your Honor, I request that  
7 Exhibits T-792, 793, T-794 and 795 be entered into the  
8 record.

9 JUDGE HAENLE: Have you any objection to  
10 the entry of the documents?

11 MR. VAN NOSTRAND: The company does not  
12 object to T-792 and 793. I would like to ask a few  
13 questions of the witness with respect to the  
14 supplemental testimony.

15 JUDGE HAENLE: You may.

16

17 VOIR DIRE EXAMINATION

18 BY MR. VAN NOSTRAND:

19 Q. Mr. Larkin, on what information is your  
20 supplemental information T-794 and 795 based?

21 A. It's based in part on updates and in part  
22 on information we received related to the company's  
23 consolidated income tax return.

24 Q. That was a response to Department of

25 Defense data request No. 1871?

(LARKIN - VOIR DIRE BY VAN NOSTRAND)

2934

1 A. I believe that's correct.

2 Q. When was that request first made of the  
3 company?

4 A. I don't recall.

5 Q. Would you accept subject to check  
6 January 26, 1993?

7 A. Yes, I will.

8 Q. And do you know when the company responded  
9 to that data request?

10 A. I think they responded in part before the  
11 testimony was due, but there was something wrong with  
12 the response. It didn't have enough detail for us to  
13 make the calculation.

14 Q. Would you accept subject to check that that  
15 response was given on February 9, 1993?

16 A. The original response?

17 Q. Yes.

18 A. Yes.

19 Q. What was done after the original response  
20 was given to follow up on what was deemed by the Navy  
21 to be insufficient?

22 A. I think we probably asked supplemental  
23 requests.

24 Q. When was that done?

25           A.     I don't recall offhand.

(LARKIN - VOIR DIRE BY VAN NOSTRAND)

2935

1           Q.     When did you receive the information that  
2 you felt was necessary in order for you to prepare  
3 your testimony?

4           A.     I think it was received late but before we  
5 filed the original testimony but there wasn't time to  
6 analyze it and put it together.

7           Q.     Would you accept subject to check that it  
8 was received by you via telefax transmission at  
9 5:14 p.m. on April 23?

10          A.     Could be correct.

11          Q.     Is that not ten days before your testimony  
12 was due?

13          A.     Could be, but there were other things we  
14 had to work on at that time and didn't have the time  
15 to concentrate on.

16          Q.     Do you know whether the Navy entered into a  
17 confidentiality agreement in order to obtain access to  
18 the information the company had provided in response  
19 to that --

20          A.     I believe that's correct.

21          Q.     Do you know what date that agreement was  
22 entered into by Mr. Furuta, your counsel?

23          A.     No, I don't.

24          Q.     Will you accept subject to check April 20,

25 1993?

(LARKIN - VOIR DIRE BY VAN NOSTRAND)

2936

1 A. I will accept that.

2 MR. VAN NOSTRAND: Your Honor, the company  
3 objects to the admission of Exhibits T-794 and 795.  
4 The due date for filing opposing testimony in this  
5 proceeding was May 3. Navy made no arrangements with  
6 either the Commission or the company to submit  
7 supplemental testimony. The claim the Navy believes it  
8 can submit this testimony was based on its failure to  
9 receive certain information which it failed to pursue  
10 with the company for nearly two months, and when the  
11 necessary arrangements were made so that this  
12 information could be provided to the Navy that was done  
13 on April 20, the information was promptly related to  
14 the Navy, fully ten days before Mr. Larkin's  
15 supplemental testimony was due. We would submit it's  
16 extremely prejudicial to the company to be asked to  
17 accept -- although Mr. Furuta indicates the testimony  
18 was distributed on May 7 it was not in fact received by  
19 the company until May 12 -- we believe it's extremely  
20 prejudicial for the company to be asked to respond to  
21 the testimony which failed to observe the filing  
22 deadlines and was received by the company with an  
23 inadequate amount of time for us to do adequate  
24 discovery on.

25

JUDGE HAENLE: When was the supplemental

(LARKIN - VOIR DIRE BY VAN NOSTRAND)

2937

1 request received by you, Mr. Van Nostrand?

2 MR. VAN NOSTRAND: We don't indicate there  
3 was any supplemental request received in writing. The  
4 original response to 1871 indicated that  
5 confidentiality arrangements would have to be made  
6 before that information could be made available and  
7 the signed confidentiality agreement was not returned  
8 by the Navy until April 20 and I have copies of these  
9 documents. Once we received that we promptly faxed the  
10 information to Mr. Larkin at his office on the 23rd. I  
11 would also submit that the complexity of this  
12 adjustment is not such that it requires a lot of time  
13 to calculate, the ten days was sufficient.

14 JUDGE HAENLE: The objection is that it was  
15 not prefiled by the due date. Do you want to respond?

16 MS. GIANULIAS: I would have to check on  
17 that, your Honor. My understanding is that it was  
18 timely filed but I would have to check on that.

19 JUDGE HAENLE: It did come in after the  
20 prefiling date. I don't know at what point it came  
21 in. It was not filed within the time it was specified  
22 to be prefiled, I'm positive of that.

23 MS. GIANULIAS: I would have to go back and  
24 check.

25 JUDGE HAENLE: Do you want to report back

(LARKIN - VOIR DIRE BY VAN NOSTRAND)

2938

1 on that after lunch then?

2 MS. GIANULIAS: I would have to check with  
3 Mr. Furuta. If I get ahold of him I will be able to  
4 report back on it.

5 JUDGE HAENLE: We've had no objection to  
6 the entry of T-792 and 793 so far. Have you an  
7 objection to any of the documents, Ms. Brown?

8 MS. BROWN: No objection.

9 JUDGE HAENLE: Mr. Adams.

10 MR. ADAMS: No, I have none, your Honor.  
11 Could I ask a clarification question, though? Is  
12 company's objection to the whole document or just  
13 a piece of it because some of this, as I understand  
14 it, is correcting some errors versus new information  
15 so I just wanted to find out what we're -- are we  
16 addressing the whole document because I think the  
17 witness in any case is entitled to correct errors.

18 MR. VAN NOSTRAND: It goes to the entire  
19 document. I think we would all like to have another  
20 nine days to correct errors in previous testimony. We  
21 have filing deadlines and they need to be observed.  
22 It goes to the whole document.

23 JUDGE HAENLE: Mr. Richardson?

24 MR. RICHARDSON: No objection, your Honor.

25 JUDGE HAENLE: All right. I am going to

(LARKIN - VOIR DIRE BY VAN NOSTRAND)

2939

1 enter T-792 and 793. We will deal with the  
2 admissibility of the other document after lunch and  
3 you can begin your cross-examination then. It does  
4 seem to me that the company has made corrections to  
5 its testimony at the time of cross-examination, has it  
6 not, in the past?

7 (Admitted Exhibits T-792 and 793.)

8 MR. VAN NOSTRAND: It has not filed updated  
9 documents in a similar manner. The correction part of  
10 it relates to the fact that Mr. Larkin's revenue  
11 requirement calculations did not correspond with Mr.  
12 Legler's rate of return calculations, rather a  
13 fundamental correction. The rest of it is responding  
14 to updates by the company. And no one else had an  
15 opportunity to take additional time to analyze and  
16 incorporate into their testimony this information.

17 JUDGE HAENLE: My question was from time to  
18 time does not the company make updates to its prefiled  
19 testimony?

20 MR. VAN NOSTRAND: Updates, yes.

21 JUDGE HAENLE: We will deal with the  
22 admissibility then after lunch. Why don't you begin  
23 with your examination.

24

1 BY MR. VAN NOSTRAND:

2 Q. Start on page 4, Mr. Larkin, your  
3 discussion of plant held for future use. Your  
4 testimony proposes a number of adjustments to the  
5 properties included by Puget as plant held for future  
6 use, is that a fair statement?

7 A. It proposes three different types of  
8 adjustments.

9 Q. And your first adjustment shown on schedule  
10 4 removes 16 properties which the companies agree  
11 should properly be removed from plant held for future  
12 use?

13 A. That is correct.

14 Q. And your second adjustment is to remove  
15 those items of property which the company does not  
16 expect will be used within ten years; is that correct?

17 A. That is correct.

18 Q. And essentially by your adjustment you're  
19 asking the Commission to adopt and enforce in this  
20 proceeding a policy that properties must be used  
21 within ten years in order to be included in this  
22 category?

23 A. Yes.

24 Q. You would admit that the Commission has

25 not previously enunciated a previous benchmark ten

(LARKIN - CROSS BY VAN NOSTRAND)

2941

1 years for this property?

2 A. No, they have not, but the purpose of my  
3 testimony is to urge the Commission to do so.

4 Q. And the effect of your adjustment is to  
5 have the Commission adopt this policy now and enforce  
6 it retroactively with respect to the property included  
7 in the account 105; is that right?

8 A. It would, yes. It would implement that  
9 policy now, but the company has had that property in  
10 plant held for future use and it has earned a rate of  
11 return on it for a number of years so it's not like  
12 it's a --

13 Q. But you would agree, wouldn't you, that the  
14 company would not have had an opportunity to modify  
15 its practices in light of a policy which the  
16 Commission adopts in this proceeding?

17 A. That is correct.

18 Q. Are you familiar with Exhibit 760 in this  
19 proceeding which is just the excerpt from the Uniform  
20 System of Accounts that describes account 105?

21 A. I am familiar with the Uniform System of  
22 Accounts.

23 Q. Would you accept subject to check that  
24 Exhibit 760 is just the excerpt from the Uniform

25 System of Accounts that describes 105, plant held for

(LARKIN - CROSS BY VAN NOSTRAND)

2942

1 future use?

2 A. I will accept that.

3 Q. Is there anything in the description of  
4 account 105 which requires the property be used within  
5 10 years before it can be included in that account?

6 A. I don't believe so, but there might be  
7 somewhere else in the Uniform System, some  
8 description. But I don't recall any offhand.

9 Q. Would you accept subject to check that  
10 account 105 requires that the electric plant must be,  
11 "owned and held for future use in the electric service  
12 under a definite plan for such service"?

13 A. Yes, that's what I was thinking of.

14 Q. And the third piece of your adjustment for  
15 plant held for future use is to exclude all remaining  
16 balance of plant held for future use basically; is  
17 that right?

18 A. It would exclude it and allow the company  
19 to record a carrying charge on that property until  
20 such time as the property was placed in service and  
21 was used and useful in providing service to  
22 ratepayers, that would negate the problem that  
23 currently exists that ratepayers would pay  
24 indefinitely on property that may or may not provide

25 them service.

(LARKIN - CROSS BY VAN NOSTRAND)

2943

1 Q. These carrying charges you're talking about,  
2 they're just accounting entries, aren't they?

3 A. Yes.

4 Q. There's no cash?

5 A. There's no cash, but the accounting entries  
6 are included on a regular basis, such as AFUDC on  
7 plant construction and there's depreciation is an  
8 noncash adjustment. FASB 106 right now is a noncash  
9 requirement. So there are lots and lots of  
10 adjustments that are included in cost of service that  
11 are noncash adjustments.

12 Q. In the case of your proposal for plant held  
13 for future use, in the event the property is  
14 ultimately determined not to be necessary and doesn't  
15 get placed into service the company would never  
16 recover the carrying charges; is that right?

17 A. They would recover them if they were able  
18 to sell the property for the original cost plus the  
19 carrying charge. They would eat anything less than  
20 original cost plus the carrying charge and they would  
21 gain anything above the original cost plus the  
22 carrying charge. So, it's an even policy that places  
23 upon the company the burden of determining and taking  
24 the risk associated with placing or taking this

25 property and making sure that it is eventually put

(LARKIN - CROSS BY VAN NOSTRAND)

2944

1 into service for ratepayers.

2 Q. If we could try to illustrate your proposal  
3 by a simple example. Let's assume the Navy announces  
4 that within the next decade it will expand its  
5 facilities in Bremerton and the company, anticipating  
6 that upgrades in its facilities will be necessary to  
7 serve the Navy expansion, acquires land to build a new  
8 substation within the vicinity of the facilities. At  
9 the time the land is acquired there is a definite land  
10 and it is tied to the anticipated needs of the Navy.  
11 Five years later, however, the Navy announces that it  
12 has changed its plans and the expansion will not  
13 occur. The company has no other need for the property  
14 and decides to dispose of it. Under your proposal  
15 this property would never be included in rate base; is  
16 that right?

17 A. That is correct.

18 Q. And the company would never recover its  
19 carrying costs, would it?

20 A. No, it would not -- well, they would  
21 recover it if they were able to sell it for what they  
22 originally paid plus the carrying charge.

23 Q. Well, assume that given the change in the  
24 Navy's plans for expansion that real estate prices

25 dropped dramatically in Bremerton and the company

(LARKIN - CROSS BY VAN NOSTRAND)

2945

1 sells it at a loss, it would not recover this loss,  
2 would it?

3 A. That is correct.

4 Q. Under your proposal, wouldn't the company  
5 in all cases be better off by not anticipating future  
6 needs but simply waiting until the last minute to  
7 acquire properties so that it can be sure that the  
8 property is absolutely necessary?

9 A. No. They would be taking the risk that the  
10 property that they acquire would either be used in  
11 providing utility service or in the alternative that  
12 they could sell it for a price that exceeded the  
13 original cost plus carrying charge. So it would have  
14 a motivation to insure that whatever they purchased  
15 was property that would not depreciate and would not  
16 be available in the future.

17 Q. Why does the company buy property for  
18 electric utility purposes? What's the reason for the  
19 decision?

20 A. Well, there's an assumption that property  
21 may be necessary in the future to provide electric  
22 utility service.

23 Q. And do you believe it's easier to acquire  
24 properties in advance of development in an area or

25 simply to wait until the development has occurred

(LARKIN - CROSS BY VAN NOSTRAND)

2946

1 before buying property on which to located necessary  
2 electric facilities?

3 A. It depends. Sometimes if the area develops  
4 it is not possible to buy it without condemnation, but  
5 that places upon the company the burden of deciding  
6 whether that particular area is going to develop such  
7 that the prices will escalate that they can't buy that  
8 property at some future point at a lesser cost.

9 Q. In the example I gave you it would have  
10 taken the risk in loss; is that right?

11 A. In your example that's an example that you  
12 take all the time or the risk that you take all the  
13 time. If you went ahead and you expanded power  
14 facilities in addition to serve the Navy there's no way  
15 you would recover those costs if it was excess  
16 capacity. You have to determine and take steps to  
17 insure that what people tell you really is going to  
18 come to pass. You are the best party to do that.

19 Q. Wouldn't you agree that notwithstanding  
20 what people tell the company the company has an  
21 obligation to meet the electric service needs of the  
22 customer?

23 A. Any reasonable projection or any reasonable  
24 increase the company should anticipate but I don't

25 think that you're required to buy facilities every

(LARKIN - CROSS BY VAN NOSTRAND)

2947

1 time somebody says we might do something. For  
2 instance, if there's a customer that's a thousand  
3 feet off the distribution line, you're not required to  
4 run that out there free or uneconomically. The Navy  
5 does make -- if you were building a facility  
6 specifically for the Navy, the Navy does make  
7 contributions in aid of construction. So, you could  
8 ask the Navy that if you are really making these plans  
9 and you expect us to serve, we expect you to make a  
10 contribution to this line that is going to go  
11 specifically for you. That would be reasonable and  
12 that would avoid your possible loss.

13 Q. Dividends declared, page 11?

14 A. Yes.

15 Q. How do you define working capital for  
16 purposes of this adjustment?

17 A. Working capital is the -- for this  
18 particular adjustment it's cost free capital that's  
19 provided -- working capital is the additional  
20 investment that stockholders and bondholders make  
21 over and above facilities in order to operate the  
22 company. As it relates to this particular adjustment  
23 these are cost-free funds that ought to be deducted  
24 from working capital.

25 Q. What's the accounting transaction that

(LARKIN - CROSS BY VAN NOSTRAND)

2948

1 occurs when dividends are declared?

2 A. The accounting transaction is to debit  
3 retained earnings and to credit accounts payable and  
4 it's that accounting transaction that changes the  
5 nature of this dividend. It no longer is part of the  
6 company's equity. And the stockholders are now  
7 unsecured creditors just like any other accounts  
8 payable. So if the company were to go bankrupt at  
9 that particular time that particular dividend,  
10 preferred and common, would stand just like the  
11 accounts payable, person who had sold something to the  
12 company, they would be an unsecured creditor. And  
13 that's why this is a cost resource of funds that should  
14 be deducted from working capital.

15 Q. Does the bookkeeping entry itself have any  
16 impact on the availability of the funds to the  
17 company?

18 A. Well, the bookkeeping entry doesn't  
19 affect funds or cash in and of itself. The amount of  
20 cash to pay them is there or isn't there. The  
21 bookkeeping entry changes the nature of the dividend  
22 from a source of capital that the company is  
23 entitled to return a rate of return on to a cost-free  
24 source that they're not entitled to earn a rate of

25 return.

(LARKIN - CROSS BY VAN NOSTRAND)

2949

1 Q. Once the dividend is declared do the  
2 investors immediately receive the funds from the  
3 company?

4 A. No.

5 Q. So they're still available to the company?

6 A. That is correct. But they are in the  
7 nature of an accounts payable.

8 Q. So it becomes zero cost merely because you  
9 say they don't need to earn a return on them?

10 A. It's zero cost because of the adjustment  
11 and that is the way return on equity is calculated.  
12 You don't calculate a return on equity by adding in  
13 dividends declared. Company doesn't earn on that.  
14 When analysts analyze what a company actually earns,  
15 they take an average of what's actually in common  
16 equity and divide that into net income. That doesn't  
17 include dividends declared. So they're not entitled to  
18 earn a rate of return.

19 MR. VAN NOSTRAND: No further questions,  
20 your Honor.

21 JUDGE HAENLE: I assume you mean lunch  
22 break, although it sounded real good.

23 Let's take our lunch break now and be back  
24 at 1:30, please.

25 (Luncheon recess at 12:00 noon.)

(LARKIN - CROSS BY VAN NOSTRAND)

2950

1 AFTERNOON SESSION

2 1:30 p.m.

3 JUDGE HAENLE: Let's be back on the record  
4 after our lunch recess. Go ahead, Mr. Van Nostrand.

5 MR. VAN NOSTRAND: Thank you, your Honor.

6 Q. If we could look at the other accumulated  
7 deferred income taxes. Your schedule 12, line 1 you  
8 also make an adjustment which removes \$61,000 related  
9 to interest income related to Colstrip?

10 A. Yes.

11 Q. Your testimony notes that this item arises  
12 as a result of the settlement agreement between the  
13 owners of the Colstrip project this was realized  
14 as taxable income in 1989?

15 A. That is correct.

16 Q. When you made this adjustment, did you make  
17 the corresponding adjustments to take the deferred  
18 interest income out which created the deferred taxes?

19 A. Out of the test year?

20 Q. At the same time that you made this  
21 adjustment, wouldn't there also be a corresponding  
22 entry for deferred income tax?

23 A. If it's in the test year you would take  
24 that out, but the reason that I am taking it out of the

25 rate base is because it's not a going forward

(LARKIN - CROSS BY VAN NOSTRAND)

2951

1 adjustment. After this is amortized this is gone and  
2 it's going to be gone January 1, 1993, I believe. So  
3 if you put it in the rate base now ratepayers would be  
4 paying a return on a deferred income tax which will not  
5 be there on a going forward basis. That's the reason  
6 for adjusting this out of the rate base, and if it is  
7 in the test year and it's not a continuing income it  
8 would be appropriate to take that out of the test year  
9 expense -- income but I wasn't aware that it was in  
10 there.

11 Q. If you could turn to Bad Debt Expense on  
12 page 23 of your testimony. You would agree that the  
13 company's proposal is to base the level of bad debts  
14 on the most recent five years of experience?

15 A. Yes, that's correct.

16 Q. And this is a practice that has been  
17 followed by the company in recent rate cases?

18 A. By the company and the Commission, but as my  
19 testimony points out steps have been taken to improve  
20 that and ratepayers are paying for those improvements  
21 and therefore the ratepayers should get the benefit  
22 of --

23 Q. And these improvements you're referring to  
24 are the items from Mr. Knutsen's testimony which you

25 cite on page 23?

(LARKIN - CROSS BY VAN NOSTRAND)

2952

1 A. Yes.

2 Q. And apart from changes in the company's  
3 credit practices, would you agree that weather  
4 conditions also affect the level of bad debt expense?

5 A. Sure.

6 Q. And in fact Mr. Knutsen's testimony there  
7 at the bottom of page 24 indicates that if the weather  
8 is much colder and the bills are much higher, the bad  
9 debt expense could be higher?

10 A. That's true, but then the company's income  
11 is higher because the revenue they're collecting is  
12 above the level on which rates were based. So if the  
13 bad debt expense is higher, they're still earning more  
14 than they would on a normalized basis so it would be  
15 appropriate for them to pay a higher bad debt expense  
16 in that condition.

17 Q. Is the company's income higher if weather  
18 is colder under the PRAM decoupling mechanisms, as you  
19 understand it?

20 A. That may have an effect.

21 Q. Do you know what weather conditions were  
22 like during the test period?

23 A. They were warmer than normal.

24 Q. And doesn't it therefore follow that if the

25 test period had warmer than normal expenditures, given

(LARKIN - CROSS BY VAN NOSTRAND)

2953

1 what you've previously stated, that the bad debt  
2 expense during the test period might be unusually low?

3 A. That was normalized and Mr. Knutsen said on  
4 cross that he didn't expect on a going forward basis  
5 that their bad debt experience would -- or that you  
6 would have more bad debts so I think the company's  
7 historical experience in recent years and  
8 Mr. Knutsen's conclusion that that looks like a  
9 reasonable level is an appropriate basis on which to  
10 set the bad debt expense.

11 Q. Would you agree that economic conditions in  
12 the company's service territory might also affect the  
13 levels of bad debt expense?

14 A. Sure.

15 Q. And that the levels of lay-offs might be  
16 higher in a stagnant or recessionary economy and lower  
17 in a robust or growing economy?

18 A. Yes, but when you establish rates we try to  
19 factor out all of that.

20 Q. Wouldn't you agree that using a five-year  
21 average tends to even out the impact of economic  
22 conditions on bad debt expense?

23 A. That would be true absent or if all of the  
24 improvements that the company has made were in place

25 during that entire five-year period. They were not.

(LARKIN - CROSS BY VAN NOSTRAND)

2954

1 Therefore, in order for the ratepayer to benefit from  
2 the additional cost that he's incurring then the  
3 Commission has to look at the cause and effect, you  
4 pay more, you improve your collection process, the  
5 bad debt to revenue ratio goes down. That ought to  
6 be reflected in current rates.

7 Q. And using the five-year average will  
8 ultimately result that being reflected in rates, won't  
9 it?

10 A. Five years from now.

11 Q. Isn't the impact of the test period in the  
12 five-year average right now?

13 A. Yes, the past.

14 Q. If we could look to your testimony on the  
15 FAS 106 adjustment beginning on page 33?

16 A. Yes.

17 Q. And this item concerns changing from pay as  
18 you go for expenses associated with post retirement  
19 benefits to an accrual amount calculated in accordance  
20 with FAS 106. Is that a fair statement?

21 A. Yes.

22 Q. Could you give us some background on FAS  
23 106 and what it relates to?

24 A. Well, FAS 106 is a pronouncement by the

25 financial accounting standards board that in effect

(LARKIN - CROSS BY VAN NOSTRAND)

2955

1 stated that there is an undisclosed future liability  
2 that companies have to their employees. It is in FASB  
3 106 characterized as deferred compensation, and 106  
4 says that that ought to be disclosed and reflected in  
5 the financial statements of the company.

6 Q. And is it fair to state that FAS 106  
7 prescribes the way that this liability would be  
8 accounted for and that companies are required to state  
9 this liability on their financial statements?

10 A. It does for nonregulated companies. For  
11 regulated companies FASB 71 affects that. And how it's  
12 stated for accounting purposes does not necessarily  
13 affect what should be reflected in rates.

14 Q. But what was -- the goal of FAS 106 was for  
15 comparability of financial reports that people would  
16 be able to compare this liability for deferred  
17 compensation from one company to the other, is that  
18 the goal?

19 A. That's part of it that it would be  
20 disclosed in the financial statements what that  
21 liability was.

22 Q. And you would agree that for financial  
23 reporting purposes Puget is required to record this  
24 liability calculated in accordance with FAS 106?

25           A.     Yes, but I also point out how the emerging

(LARKIN - CROSS BY VAN NOSTRAND)

2956

1     issues task force pronouncement could affect how that  
2     is recorded on the utility's books.  In other words, a  
3     regulatory asset and liability could be recorded which  
4     would not affect the company's income statement.

5           Q.     Your testimony does not challenge the  
6     prudence or the level of Puget's post retirement  
7     benefit amounts, does it?

8           A.     No, but I would hasten to say that we  
9     didn't do an extensive comprehensive analysis of that,  
10    and I think perhaps the Commission should rely on its  
11    own staff.  All we're doing is -- first of all we  
12    state pay as you go is probably a better method, but  
13    based on the Commission's order and the staff's work  
14    paper it appears to us that the Commission would be  
15    inclined to give the company some amount of FASB 106  
16    accrual.  We're just saying here is a way to mitigate  
17    that effect on ratepayers by phasing it in.

18          Q.     And you would agree that Puget's expense on  
19    pay as you go basis is \$11.838 million?  I believe  
20    that's on page 39 of your testimony?

21          A.     Its expense is what?

22          Q.     If it's calculated on a pay as you go basis  
23    its expense for post retirement benefits other than  
24    pension?

25 A. Is how much?

(LARKIN - CROSS BY VAN NOSTRAND)

2957

1 Q. About \$1.838 million, line 3 on page 39.

2 A. Yes. That looks like the -- yes, pay as  
3 you go amount.

4 Q. I am trying to get a basis for comparison  
5 for pay as you go versus FAS 106. And the FAS number  
6 is as you stated \$3.6 million?

7 A. Yes. But I hasten to point out that an  
8 accrual is not cash, pay as you go is cash, and  
9 accrual, \$3.6 million is not something the company  
10 would actually have to expend.

11 Q. Is your primary recommendation that Puget  
12 continue to follow pay as you go or are you  
13 recommending the phase-in that you described later in  
14 your testimony?

15 A. Well, we would like to see the Commission  
16 go steady with pay as you go. We don't think that  
17 that's a recommendation they would follow. Therefore,  
18 our secondary recommendation is the phase-in.

19 Q. Have you presented a recommendation for a  
20 phase-in in other rate proceedings?

21 A. I don't think I have personally but perhaps  
22 somebody else in our firm has.

23 Q. Have you testified generally on the  
24 transition from pay as you go to FAS 106 accounting?

25 A. Yes.

(LARKIN - CROSS BY VAN NOSTRAND)

2958

1 Q. In other rate proceedings?

2 A. Yes, and New Mexico and I believe  
3 Connecticut and perhaps Hawaii.

4 Q. Did the companies in those proceedings, were  
5 the amounts comparable in terms of the difference  
6 between the pay as you go amount and the FAS 106  
7 amount?

8 A. I would say that I don't recall and there's  
9 liable to be substantial differences because of the  
10 age of the employees and the type of benefits that  
11 provided they could be all over the place.

12 Q. Wouldn't you say that would be relevant to  
13 deciding whether a phase-in is appropriate, the  
14 difference between the FAS 106 amount and the pay as  
15 you go amount?

16 A. It could be something that could be  
17 considered.

18 Q. Your testimony at pages 41 to 45 discusses  
19 a tax advantages of certain funding mechanisms. You  
20 would agree that the funding mechanisms chosen by the  
21 company take advantage of the provisions you  
22 identified in your testimony?

23 A. As far as I know they do.

24 Q. Look for a moment at your adjustment for

25 directors and officers liability insurance, page 52.

(LARKIN - CROSS BY VAN NOSTRAND)

2959

1 You're proposing to disallow 50 percent of the  
2 premiums paid by the company for directors and  
3 officers liability insurance; is that right?

4 A. I'm proposing that stockholders should pay  
5 for half of it. If you want to characterize that as a  
6 disallowance, yes.

7 Q. Do you believe insurance premiums paid by  
8 the company are a legitimate operating expense?

9 A. If they are for the benefit of the  
10 ratepayer, I do.

11 Q. Do you believe the company's carrying an  
12 excessive level of the directors and officers  
13 liability insurance coverage?

14 A. I didn't analyze that. My analysis was  
15 based on a conclusion that this primarily benefited  
16 the stockholders in that the board of directors worked  
17 for the stockholders and if anybody is going to sue  
18 anybody it's going to be the stockholders suing the  
19 board of directors. So I don't see why ratepayers  
20 should protect the board of directors from their own  
21 stockholders. I think that that's a cost that at  
22 least should be borne 50/50 by both groups.

23 Q. Have you done any sort of analysis of what  
24 sorts of lawsuits that shareholders initiate against

25 their directors?

(LARKIN - CROSS BY VAN NOSTRAND)

2960

1 A. Not in detail but we've been involved for a  
2 number of years in utility cases and most suits by  
3 stockholders against utility executives have been for  
4 management decisions that went awry and that the  
5 stockholders lost money.

6 Q. Like participating in building generating  
7 plants that ultimately are abandoned?

8 A. Yes, and the sale of assets that  
9 stockholders conclude were not for the benefit of the  
10 stockholders.

11 Q. And you believe that when a company  
12 initiates construction of a generating plant it is  
13 doing so for the benefit of its shareholders?

14 A. Generally, because a plant doesn't become  
15 used and useful to ratepayers until it's finished and  
16 completed and put on-line and accepted by a  
17 Commission. So up until that time the plant belongs  
18 to the stockholders, doesn't belong to the ratepayers  
19 and it's not the ratepayers' responsibility.

20 Q. What sorts of other suits are filed against  
21 directors apart from decision of utilities to build  
22 generating plants?

23 A. I don't recall any offhand -- come to mind.  
24 Those are the ones that I primarily recall. There was

25 a suit that stockholders filed against Tucson Electric

(LARKIN - CROSS BY VAN NOSTRAND)

2961

1 Power when they sold off a generating station to a  
2 company that was eventually owned by the president of  
3 that company. So I think that that was a similar  
4 stockholder suit but it wasn't abandonment of a plant.

5 Q. Isn't another reason for your directors and  
6 officers liability insurance adjustment is that this  
7 insurance also covers the company's subsidiaries?

8 A. Yes.

9 Q. Have you reviewed the testimony of staff  
10 witness Nguyen in this proceeding?

11 A. Briefly, yes.

12 Q. He proposes to allocate about 3.3 percent  
13 of the insurance premiums to the subsidiaries based on  
14 the net assets of the subsidiaries?

15 A. Yes.

16 Q. Would you agree that that figure represents  
17 the allocation that would be made if it were done on  
18 the basis of net assets of the subsidiaries?

19 A. I will accept subject to check that his  
20 calculations are correct. It wouldn't surprise me if  
21 that number were the right number.

22 Q. Did your adjustment consider whether or not  
23 the level of directors and officers liability coverage  
24 may affect the company's ability to attract and retain

25 qualified directors on its board?

(LARKIN - CROSS BY VAN NOSTRAND)

2962

1 A. I am not saying that the company should  
2 change its coverage. All I am saying is that the  
3 stockholders ought to pay for half of it. So my  
4 recommendation doesn't change the coverage on these  
5 directors. It only allocates to the stockholders part  
6 of the payment for those premiums.

7 Q. So if the company increases the coverage it  
8 pays a greater penalty?

9 A. If the Commission accepts my recommendation  
10 that stockholders ought to pay for some part of it.

11 Q. Are you saying that customers do not  
12 benefit from having qualified directors serve on  
13 Puget's board?

14 A. No, I didn't say that. My testimony says  
15 that there is a benefit to stockholders for having  
16 this insurance and at least some part of that premium  
17 ought to be paid by the stockholders.

18 Q. If you could look at environmental  
19 remediation which begins on the next page, page 53?

20 A. Yes.

21 Q. I take it from your testimony you're  
22 recommending that the company not begin with covering  
23 its remediation costs and that these costs not be  
24 recovered until the next rate proceeding; is that

25 right?

(LARKIN - CROSS BY VAN NOSTRAND)

2963

1 A. Well, or until there is a final  
2 determination of what the insurance coverage is in  
3 recovery and who is ultimately responsible.

4 Q. And your testimony recognizes the  
5 Commission's accounting order issued with respect to  
6 the company's environmental remediation program?

7 A. I recognize that there is one.

8 Q. And as part of that accounting order isn't  
9 the company required to flow through to customers any  
10 insurance proceeds which it receives in connection with  
11 environmental remediation costs?

12 A. Yes, but the final determination of what  
13 those insurance companies will pay has not been  
14 determined, and it seems to me if I were an insurance  
15 company being sued by the company, my first defense  
16 would be that you've already recovered these monies  
17 from the ratepayer and you don't belong in court. So  
18 if I were the Commission I would be cautious about  
19 passing it through to ratepayers. Even if there is a  
20 final settlement on insurance, you're not going to get  
21 that insurance money back to the exact people that you  
22 allocated the current costs to. So in my mind it's  
23 better to wait until you settled all the litigation,  
24 gotten all the money and then amortized it over a

25 period of time into rates.

(LARKIN - CROSS BY VAN NOSTRAND)

2964

1 Q. Would that be a valid defense in the  
2 insurance litigation proceeding that the company could  
3 already recover these amounts in rates from customers?

4 A. I testified in a case in Illinois, and I  
5 understand that that's one of the issues that the  
6 lawyers in there raised with the Illinois companies is  
7 that if they recovered through remediation costs now  
8 that would be a defense that possibly the companies  
9 could -- insurance companies could.

10 Q. As long as the accounting order remains in  
11 effect there's no risk that whenever these insurance  
12 recoveries are paid that they ultimately be flowed  
13 through to the company's customers?

14 A. No. In answering your question -- there is  
15 no risk that it will be flowed through except that  
16 there will be a discrimination against certain groups  
17 of ratepayers who will have paid amortization and  
18 other groups of ratepayers who will see the insurance  
19 proceeds. So there's some inequity, intergenerational  
20 inequity there.

21 Q. If the company doesn't begin recovering  
22 some of these environmental remediation costs, will  
23 the company still be able to book this regulatory  
24 asset under accounting principles?



25 March 5. They had 10 working days to respond which

(LARKIN - CROSS BY VAN NOSTRAND)

2966

1 would have been somewhere around March 21 or 22. There  
2 was no response. My understanding is the Navy made two  
3 additional requests or maybe three. The company  
4 responded by April 21. The company has to recognize  
5 that the Navy needs a reasonable period to review the  
6 data, to draft the testimony and for mailing and  
7 distribution. The company has had the information  
8 three and a half weeks and I think it's untimely for  
9 them today to come in and say that they're prejudiced.

10 JUDGE HAENLE: Mr. Van Nostrand indicated  
11 that the supplemental information was sent on  
12 April 20. Is that not correct?

13 MS. GIANULIAS: I was told around  
14 April 21st.

15 JUDGE HAENLE: Mr. Van Nostrand.

16 MR. VAN NOSTRAND: Once we received the  
17 signed confidentiality agreement back from the Navy on  
18 April 20th, the information was sent out by fax on the  
19 23rd.

20 JUDGE HAENLE: Why was this information not  
21 put into the supplemental testimony?

22 MS. GIANULIAS: My understanding is that  
23 the --

24 JUDGE HAENLE: I'm sorry -- into the

25 original testimony.

(LARKIN - CROSS BY VAN NOSTRAND)

2967

1 MS. GIANULIAS: It was not provided by the  
2 company.

3 JUDGE HAENLE: Well, there's been the  
4 representation of counsel is that it was provided on  
5 April 23rd. The prefiled testimony was due, I  
6 believe, May 3.

7 MS. GIANULIAS: Because it had to be  
8 reviewed, your Honor.

9 JUDGE HAENLE: Did you contact the parties  
10 and let them know that it was going to be late?

11 MS. GIANULIAS: The parties were aware that  
12 it would not be timely filed, is my understanding.

13 MR. TROTTER: There was a cover letter on  
14 the transmittal letter.

15 MR. VAN NOSTRAND: When the testimony was  
16 filed on May 3 there was the indication then for the  
17 first time that additional testimony was going to be  
18 filed later.

19 THE WITNESS: I think it's in my testimony,  
20 too.

21 JUDGE HAENLE: In your testimony you say  
22 you reserve the right to file supplemental testimony.  
23 I don't believe there was any right granted to file  
24 supplemental testimony. You can't reserve something

25 you don't have. What we're trying to determine here is

(LARKIN - CROSS BY VAN NOSTRAND)

2968

1 whether information was requested timely and provided  
2 timely and whether there was good cause for any kind of  
3 late filing.

4 MR. VAN NOSTRAND: I do have some documents  
5 that if you want to see them I have a signed  
6 confidentiality agreement signed by Mr. Furuta on April  
7 20th and the faxed transmission sheet dated April 23rd  
8 whereby this information was provided to the Navy.

9 JUDGE HAENLE: Well, if the information was  
10 provided on the 23rd, the information after the signed  
11 document on the 20th that seems to me to be relatively  
12 quick.

13 MS. GIANULIAS: I think there needed to be  
14 a review process, your Honor, which our consultant is  
15 in Michigan, we're located in California. By the time  
16 that review process was completed you need more than  
17 three days to review it.

18 JUDGE HAENLE: I think you had more than  
19 three days from April 23rd until May 3rd. I think  
20 that's the period of time we're talking about. My  
21 concern is that the purpose of prefiling and a  
22 prefiling deadline is to let all of the parties know  
23 what's in all at the same time so that they can  
24 conduct discovery on it and so that we don't have

25 material trickling in from some period of time.

(LARKIN - CROSS BY VAN NOSTRAND)

2969

1 MS. GIANULIAS: Again, I think I want to  
2 reiterate that the company was late in responding to  
3 our requests. We made several requests. They had 10  
4 days to respond. They did not respond within that  
5 10-day time frame.

6 JUDGE HAENLE: Are you indicating that  
7 Mr. Van Nostrand is not correct when he indicated  
8 there was some response by February 9?

9 MS. GIANULIAS: I am just stating what I  
10 was told in a telephone conversation with Mr. Furuta.  
11 He informed me that he made three requests for the  
12 data. The company was late in responding to the data  
13 request, the company was aware that our filing would  
14 be late. The company did not object prior to this  
15 date that it was going to object and I think that is  
16 unfair that they are objecting today. They should  
17 have given us information that they would be objecting  
18 earlier than today.

19 JUDGE HAENLE: Mr. Van Nostrand.

20 MR. VAN NOSTRAND: I would think if the  
21 Navy proposes to file supplemental testimony perhaps  
22 they could secure some approval from the Commission or  
23 from the other parties that they intend to file  
24 testimony a week or nine days later after everyone has

25 to file their testimony. I think if there's any

(LARKIN - CROSS BY VAN NOSTRAND)

2970

1 approval or any communication that has to occur among  
2 the parties it should have occurred then.

3 JUDGE HAENLE: Mr. Furuta has in the past  
4 requested approval from the parties to file testimony a  
5 day late. I don't know of him doing it on any other  
6 time without requesting approval from the parties or  
7 the Commission.

8 I am going to make a distinction between  
9 the new calculation, which I believe should not be  
10 included into the record on the basis that it was not  
11 provided in a timely manner, and updates to those  
12 calculations which had already been provided. We  
13 routinely see people bring in some updates to their  
14 numbers as those become available. We do not  
15 routinely see new calculations, and I do not feel that  
16 is appropriate.

17 Looking at the document, it seems to me,  
18 then, that the information regarding consolidated tax  
19 savings calculation should be excluded as not having  
20 been prefiled in a timely manner as per the  
21 Commission's instructions. The remainder of the  
22 testimony seems to me is in the nature of updates  
23 which are generally done either as a revision to  
24 direct testimony or done on cross-examination in order

25 to save time and be efficient. I would leave the rest

(LARKIN - CROSS BY VAN NOSTRAND)

2971

1 of those in there, so that the testimony T-794 would be  
2 entered except for pages 2, 3 and 4 and 795 would be  
3 entered other than schedule 36 which is the new  
4 schedule. Now, I understand that there is a number  
5 from that schedule in the results of operations. I  
6 guess rather than trying to go through and bust that  
7 out in some manner, the Commission would have that  
8 number, it would not have any way of telling how the  
9 calculation was made and so it's not going to be able  
10 to use that calculation. But that's -- so the 795  
11 will be entered only schedules 1, 2 and 35, not  
12 schedule 36.

13 (Admitted Exhibits T-794 and 795, with  
14 exceptions.)

15 MR. VAN NOSTRAND: Your Honor, could that  
16 also extend to the first four lines on page 5?

17 JUDGE HAENLE: Of what?

18 MR. VAN NOSTRAND: Of Exhibit T-794.  
19 That's where the recommendation, the number is brought  
20 in from the consolidated tax adjustment.

21 JUDGE HAENLE: Well, that is a part of it.  
22 Because I've left it in that other exhibit I figured  
23 that would help the Commission to have what the number  
24 is that they don't have the calculation to get to. So

25 the Commission does not have any manner of testing this

(LARKIN - CROSS BY VAN NOSTRAND)

2972

1 witness' calculation but I thought leaving that in  
2 would help them identify the number.

3 Q. Resume with storm damage, Mr. Larkin, on  
4 page 58. Your testimony notes that Puget's recorded  
5 storm costs in this proceeding are substantially  
6 higher than in prior cases. Is that a fair statement?

7 COMMISSIONER CASAD: Can't hear you.

8 Q. Your testimony notes that Puget's recorded  
9 storm costs in this proceeding are substantially higher  
10 than in prior cases. Is that a fair statement?

11 A. The accounting is higher, yes.

12 Q. Are you suggesting that the reason for this  
13 higher storm damage reserve does not relate to  
14 particular storms but is due strictly to the manner in  
15 which Puget accounts for storm damage expense?

16 A. In part it's due to how you account for  
17 storm damage expense by allocating overheads and  
18 nonincremental costs of the storm damage.

19 Q. As I understand your adjustment you're  
20 proposing to reduce the storm damage expense by two  
21 separate adjustments, one is to reduce work order  
22 costs which do not appear to be incremental to or  
23 indirectly caused by storms, and the other is to  
24 exclude nonwork order costs; is that right?

25           A.     Yes.

(LARKIN - CROSS BY VAN NOSTRAND)

2973

1           Q.     As far as the first portion of your  
2 adjustment, is it correct you identified about \$4.8  
3 million of the expense associated with the Arctic  
4 Express storm of December 1990 and January 1991 as  
5 relating to overheads based on payments by Puget's  
6 insurer?

7           A.     I will accept that number subject to check.

8           Q.     And how did you determine that the basis  
9 for the insurance company's refusal to reimburse \$4.8  
10 million in costs related to the Arctic Express event  
11 related to a contention that certain overheads  
12 constituted fixed costs?

13          A.     By looking at the total cost less the  
14 deductible, less the reimbursement, that's how we  
15 segregated those costs.

16          Q.     Are you aware that the insurer took a  
17 position that more than one deductible would apply to  
18 the Arctic Express event and that that was a reason  
19 that affected the magnitude of the recovery?

20          A.     That there was more than one deductible --  
21 I assume there was one applied in December and one in  
22 January.

23          Q.     That was the issue.

24          A.     I would have to look at the calculation. I

25 am not sure that was taken into consideration.

(LARKIN - CROSS BY VAN NOSTRAND)

2974

1 Q. Couldn't it be that the magnitude of the  
2 recovery was affected by how many deductibles the  
3 insurer applied rather than whether the expense items  
4 constituted fixed costs?

5 A. It could be there were fixed costs in there  
6 that I assume wouldn't be reimbursed.

7 Q. But your adjustment assumes that the reason  
8 they weren't reimbursed is because the insurer found  
9 they were fixed costs?

10 A. Yes.

11 Q. With respect to your treatment of nonwork  
12 order costs, I take it from your adjustment that you  
13 assume that if it's not a work order cost it's not  
14 storm related?

15 A. If they're fixed costs, if they would have  
16 been incurred by the company anyway and that those are  
17 in rates.

18 Q. Is it necessary to have a work order in  
19 order to have storm damage expense?

20 A. Generally so, that you want to segregate  
21 those costs.

22 Q. If your proposal on storm damage is adopted  
23 by the Commission, will the company be required to  
24 write off amounts previously recorded in the storm

25 damage reserve and treated as a regulatory asset on

(LARKIN - CROSS BY VAN NOSTRAND)

2975

1 its financial statement?

2 A. You would be required to write it off. I  
3 don't know about treating it as a regulatory asset.

4 Q. Isn't that how it's treated on the  
5 financial statement, that's essentially a promise that  
6 these amounts will be recovered in rates in the  
7 future?

8 A. Maybe I misunderstood your question. Did  
9 you say write it off and treat it as --

10 Q. No, write off the amount which is now  
11 recorded in the storm damage reserve --

12 A. Yes.

13 Q. It will be required to write off?

14 A. Yes.

15 Q. Have you calculated how much that write-off  
16 would be?

17 A. No, but I think you could calculate it from  
18 my exhibits. It would be the difference between my  
19 adjustment and what the company -- so it would be over  
20 \$10 million.

21 Q. Over \$10 million?

22 A. Yes.

23 MR. VAN NOSTRAND: No further questions.

24 JUDGE HAENLE: Have you questions,

25 Mr. Richardson?

(LARKIN - CROSS BY VAN NOSTRAND)

2976

1 MR. RICHARDSON: No questions, your Honor.

2 JUDGE HAENLE: Questions, Mr. Trotter or  
3 Ms. Brown?

4 MS. BROWN: No.

5 JUDGE HAENLE: Questions, Mr. Adams?  
6

7 CROSS-EXAMINATION

8 BY MR. ADAMS:

9 Q. I had just a couple of questions.

10 Mr. Larkin, first directing you to your discussion  
11 concerning the property held for future use?

12 A. Yes.

13 Q. Discussion starting around page 8 of your  
14 testimony. You make reference or suggest a ten-year  
15 limitation and cite, I think, that other jurisdictions  
16 use a ten-year or something similar to that. Could  
17 you indicate where the other jurisdictions are that use  
18 ten or fewer years?

19 A. Well, the discovery the company asked that  
20 question. We didn't make a thorough comprehensive but  
21 we did provide public utility reports which indicate  
22 for instance that Texas PUC, and I will quote in part,  
23 "The Commission's policy allows utility to include  
24 plant held for future use in rate base as long as the

25 utility can show specific plans for the facility and

(LARKIN - CROSS BY ADAMS)

2977

1 show that the investment will become fully used and  
2 useful within ten years." That's the Texas  
3 Commission.

4           The California Commission has a similar  
5 rule: "Newly adopted guidelines for electric plant  
6 held for future use provides that right-of-way  
7 associated with transmission lines and substations  
8 could remain in plant held for future use ten years if  
9 associated with new power plants and in plant held for  
10 future use for five years if not associated with power  
11 plants."

12           State of Illinois in one of their decisions  
13 says, "The Commission acknowledges the ten-year rule  
14 for plant held for future use but explain that each  
15 case must be reviewed separately."

16           The Hawaii Commission, "however, the ten-  
17 year criterion is meant to balance the risk of future  
18 higher acquisition costs and nonavailability of  
19 property against the burden the ratepayer will need to  
20 bear for the inclusion of the property in plant held  
21 for future use for an extended period of time."

22           So those are the ones that I am aware of.

23           Q. Under your recommendation if the company  
24 has specific plans for a particular piece of property,

25 for instance, can it go beyond ten years or must it be

(LARKIN - CROSS BY ADAMS)

2978

1 put into service within the ten years under your  
2 recommendation?

3 A. Well, I had three recommendations if you  
4 accept all three. Nothing would be in plant held for  
5 future use and the company would record a carrying  
6 charge and that when that became used and useful then  
7 they would recover that carrying charge in rate base  
8 and earn a rate of return on it.

9 Q. But if the Commission is to address, let's  
10 say specifically your ten-year proposal, are you  
11 suggesting that even if there is a plan for a given  
12 asset it must be used and useful in service within  
13 that ten years?

14 A. Yes.

15 Q. I gather, then, you take issue with staff's  
16 suggestion of a 20-year time frame?

17 A. I would think that that's a might long.

18 Q. Quick clarification. You may have answered  
19 this relating to the directors and officers liability  
20 insurance. As I understand it, you are not taking  
21 issue with the limits that the company may have for  
22 that insurance policy but you are simply splitting, if  
23 you will, the costs of that coverage?

24 A. Yes.

25 Q. In the area of storm damage, just a

(LARKIN - CROSS BY ADAMS)

2979

1 question, I think staff is suggesting a six-year  
2 normalization process. You are going with the four  
3 years, I think as you've said, it's been used  
4 previously?

5 A. Yes.

6 Q. Do you have any opposition to the six-  
7 year normalization?

8 A. No, but I will. I would still suggest that  
9 the overheads be taken out.

10 JUDGE HAENLE: Commissioners, have you  
11 questions?

12 CHAIRMAN NELSON: No questions.

13 COMMISSIONER CASAD: No questions.

14

15 EXAMINATION

16 BY COMMISSIONER HEMSTAD:

17 Q. With respect to your testimony with regard  
18 to working capital and dividends declared, is there  
19 any normal accepted practice with regard to that  
20 throughout the country?

21 A. No, because most Commissions don't do it  
22 the right way. This Commission happens to do it the  
23 right way and calculates working capital using a  
24 balance sheet approach, so many Commissions use a

25 lead/lag study which may or may not consider the

(LARKIN - EXAM BY HEMSTAD)

2980

1 dividends. So I would say that there probably isn't a  
2 national policy or one that you could point out and  
3 say everybody does it this way.

4 Q. Is there anything analogous to that issue to  
5 nonregulated private corporations?

6 A. Well, I think I quoted the accounting  
7 theory that once you reclassify these that they are no  
8 longer under the control of the company that the  
9 stockholders then become unsecured creditors and that  
10 the company couldn't just reverse that entry and give  
11 that money back. That money belongs to the  
12 stockholders and would have to be paid. So, the  
13 accounting test books say that this is unsecured  
14 liability of the company and not equity of the  
15 company. So under that basis it is correctly deducted  
16 from working capital.

17 Q. With regard to the directors and officers  
18 liability matter, again, my question is a similar one.  
19 Is there a national policy with regard to 50/50 split  
20 of that kind of insurance?

21 A. I would say not.

22 Q. Is there no policy or that the pattern is  
23 the other way?

24 A. The pattern is that it's generally not

25 raised in rate cases and --

(LARKIN - EXAM BY HEMSTAD)

2981

1 Q. Is that because in the past the amount has  
2 not been particularly significant?

3 A. Yes, and it usually doesn't come to the  
4 attention of -- if it came to the attention because  
5 there was an adjustment here in this case.

6 Q. The staff adjustment -- is it your  
7 understanding the staff made an adjustment because  
8 they felt it was too high, too much money?

9 A. No. I think, and I am not sure I remember  
10 everything that's in Mr. Nguyen's testimony, but he at  
11 least came to the conclusion that at least part of it  
12 should be allocated to the subsidiaries because they  
13 received --

14 Q. But that's almost diminimus, 3.3 percent?

15 A. Yes. He did talk about one other policy  
16 but I can't remember what his conclusion was, one  
17 additional policy that's just been added.

18 Q. But so you have no opinion as to the  
19 appropriate amount of liability insurance to be  
20 covered?

21 A. That is correct.

22 Q. Only that it ought to be -- whatever the  
23 level is ought to be shared?

24 A. Yes.

25

COMMISSIONER HEMSTAD: No further

(LARKIN - EXAM BY HEMSTAD)

2982

1 questions.

2 JUDGE HAENLE: Have you any redirect?

3 MS. GIANULIAS: No, your Honor.

4 JUDGE HAENLE: Anything more of the  
5 witness?

6 Thank you, sir, you may step down. Let's  
7 go off the record to change witnesses.

8 (Recess.)

9 JUDGE HAENLE: Let's be back on the record.

10 During the time we were off the record we changed  
11 witnesses. This is one of public counsel's witnesses  
12 now.

13 During the time we were off the record I  
14 marked for identification two documents. Marked as  
15 T-796 for identification is a multi-page document  
16 entitled direct testimony of Steven G. Hill. And 797  
17 for identification in the upper right-hand corner has  
18 SGH-1 and is composed of schedules 1 through 17. We  
19 would appreciate your witness in the future using --  
20 putting the number on his testimony, the initials and  
21 the number on his testimony as well for whatever the  
22 initials are in the testimony. Thank you.

23 (Marked Exhibits T-796 and 797.)

24 Whereupon,

25

STEVEN HILL,

(HILL - DIRECT BY ADAMS)

2983

1 having been first duly sworn, was called as a witness  
2 herein and was examined and testified as follows:

3

4 DIRECT EXAMINATION

5 BY MR. ADAMS:

6 Q. Mr. Hill, state your full name and spell  
7 your last name.

8 A. My name is Steven G. Hill, H I L L.

9 Q. Could you give us your business address?

10 A. My business address is P.O. Box 587,  
11 Hurricane West, Virginia 25526.

12 Q. I thought I better make it clear in advance  
13 you're not sponsoring a weather normalization.

14 Were you asked by public counsel to review  
15 the company's filing in this case and analyze in  
16 particular the rate of return implications?

17 A. That is correct.

18 Q. And is what has been marked Exhibit T-796  
19 your prepared testimony in this case?

20 A. Yes, it is.

21 Q. Was that prepared by you or under your  
22 supervision?

23 A. It was prepared by me.

24 Q. Are there any changes that need to be made?

25 A. There's a couple of typographical changes

(HILL - DIRECT BY ADAMS)

2984

1 that need to be made.

2 Q. Refer us to those, please.

3 A. Page 16, line 29, fourth word, "since"

4 should be struck.

5 And page 18, last line, 29, the first  
6 percentage in that line, 44 percent, should be 54  
7 percent. Those are all the changes I have.

8 Q. With those changes is your testimony true  
9 and correct to the best of your knowledge?

10 A. Yes, it is.

11 Q. And turning now to what has been marked  
12 Exhibit 797, were these -- was this exhibit or the  
13 contents of this exhibit prepared by you or under your  
14 supervision?

15 A. It was prepared by me.

16 Q. Is it true and correct to the best of your  
17 knowledge?

18 A. Yes, it is.

19 Q. There are no changes that need to be made  
20 to this?

21 A. No.

22 MR. ADAMS: Your Honor, I would move the  
23 admission of what has been marked as Exhibit T-796 and  
24 797.

25 JUDGE HAENLE: Any objection, Mr. Marshall?

(HILL - DIRECT BY ADAMS)

2985

1 MR. MARSHALL: No objection.

2 MR. TROTTER: No objection.

3 MR. RICHARDSON: No objection.

4 JUDGE HAENLE: Exhibits T-796 and 797 will  
5 be entered into the record.

6 (Admitted Exhibits T-796 and 797.)

7 MR. ADAMS: The witness is available for  
8 cross-examination.

9 JUDGE HAENLE: Mr. Marshall?

10

11 CROSS-EXAMINATION

12 BY MR. MARSHALL:

13 Q. Good afternoon, Mr. Hill.

14 A. Mr. Marshall.

15 Q. Just have a few questions today. Shouldn't  
16 take more than 20 minutes or so. At the end of your  
17 testimony T-796 you have a brief outline of your  
18 employment and education history?

19 A. Yes.

20 Q. In 1971 you received a degree in chemical  
21 engineering; is that correct?

22 A. Yes.

23 Q. And then after that degree in chemical  
24 engineering you were in a two-year MBA program at

25 Tulane University?

(HILL - CROSS BY MARSHALL)

2986

1 A. That is correct.

2 Q. At Tulane in the MBA program, did you take  
3 courses that were taught in the economic department  
4 there at Tulane?

5 A. Yes, I did.

6 Q. Do you have any kind of upper level work  
7 toward a PhD in economics?

8 A. I do not.

9 Q. When you went to West Virginia after your  
10 MBA program you were hired as a pollution control  
11 engineer; is that correct?

12 A. That is correct.

13 Q. And then you basically worked on chemical  
14 company compliance with the Clean Air Act?

15 A. Correct.

16 Q. Now, let's turn to your testimony in terms  
17 of what you've testified to in substance. At page 13  
18 in your testimony you refer to the FERC generic return  
19 on common equity. Do you see that at page 13?

20 A. Yes.

21 Q. Now, the FERC no longer of course  
22 establishes a generic return on common equity?

23 A. That is correct. I explained that in my  
24 testimony also.

25 Q. So, if we turn to Exhibit 797, schedule  
(HILL - CROSS BY MARSHALL)

2987

1 2, page 2, the number at the bottom of that, that  
2 10.786 number, that's your number, not the FERC's  
3 number, correct?

4 A. It's a number that was generated by the  
5 FERC methodology and if the FERC, in fact, were  
6 continuing their FERC generic return today that's the  
7 number it would produce.

8 Q. Well, that's just my point is that the  
9 FERC is not continuing that so this is your number and  
10 not the FERC's number, correct?

11 A. I think I agreed with you. It's my number  
12 produced by the FERC methodology.

13 Q. On that same calculation, page 2 in Exhibit  
14 787, the application of the way you've applied this  
15 approach you've come up with a growth rate of 4.32  
16 percent. Do you see that?

17 A. Yes. If you turn over one more page you  
18 will see that the FERC generic return used the 4.33 or  
19 4.32 percent for about four years in a row there so I  
20 applied that number.

21 Q. That shows that in the past the FERC used  
22 that -- came up with those figures when it was doing a  
23 generic rate of return?

24 A. Correct.

25 Q. But they stopped doing that as of 1991-92?

(HILL - CROSS BY MARSHALL)

2988

1 A. In January 1992.

2 Q. So they were using that 4.3 percent growth  
3 rate throughout the late 80's and early 90's; is that  
4 right?

5 A. Well, it was 4.3 something from the  
6 beginning of 1988 all the way through the time that  
7 they quit publishing the generic return, and it's  
8 unreasonable to believe that it would change very much  
9 over the years in time this elapsed since they stopped  
10 publishing it.

11 Q. Do you know whether the FERC derived their  
12 4.3 percent growth rate from data that was generated  
13 in the early 1980's through the late 1980's and into  
14 the early 1990's?

15 A. No. The way they derived their growth rate  
16 in and generic methodology was in similar fashion to  
17 the methodology that I used. They used a sustainable  
18 or quote B times R unquote growth rate analysis. And  
19 they look at recent history, as I do, except I believe  
20 they look at three years rather than five and they  
21 looked at projected information as I do. And they  
22 look at three years projected information rather than  
23 five, but the methodology is similar.

24 Q. When they derived the 4.3 percent growth

25 rate the last time they used it what data did they

(HILL - CROSS BY MARSHALL)

2989

1 use?

2 A. They don't publish that data.

3 Q. How far back did they go?

4 A. For the benchmark that was published in  
5 January of 1992 -- and this will take a little bit of  
6 explaining of the FERC methodology -- each year the  
7 benchmark would be updated in January and for that  
8 update process they would look at the previous year  
9 data, stock price data. As for growth rate data they  
10 would look at the three year past, three year  
11 projected data, look at B times R sustainable growth  
12 rate primarily. But they would also look at  
13 historical growth in earnings and dividends and  
14 projected earnings in dividends and that kind of  
15 thing, but in the beginning of the year they look at a  
16 one year time frame, take the stock price from the past  
17 year. When they updated it quarterly they looked at  
18 six months updated. So I hope I've answered your  
19 question about the time frame.

20 Q. In capsule form, how far back do they go  
21 and how far forward?

22 A. For growth rate data?

23 Q. Right?

24 A. Three years.

25 Q. Back three years and how far forward do

(HILL - CROSS BY MARSHALL)

2990

1 they look?

2 A. Look forward three years or they use the  
3 Value Line projection three to five year period as I  
4 do.

5 Q. So last data they had if it concluded in  
6 '92 they would have looked back three years before  
7 January of 1992?

8 A. Yes, to '87-88 period.

9 Q. Okay. Now, turn, please, to page 15, lines  
10 2 to 5 of your testimony. At that page you have the  
11 average market-to-book ratio for the electric utility  
12 industry?

13 A. Yes.

14 Q. As of March?

15 A. Yes.

16 Q. And that was 1.64; is that correct?

17 A. Correct.

18 Q. And using Puget's 1992 yearend book value  
19 Puget's market-to-book ratio was already somewhat  
20 below the average for the electric utility industry.  
21 Is that true?

22 A. Somewhat. I have a May 1993 CA Turner's  
23 utility reports. It's the same publication as quoted  
24 in my testimony. It's updated three months. And it

25 says here Puget Power market-to-book 162 percent. So

(HILL - CROSS BY MARSHALL)

2991

1 it's virtually the same.

2 Q. So just about at or slightly below, a  
3 little below the average?

4 A. Right.

5 Q. Turning back to page 13 of your testimony  
6 you state there, I believe at line 23, that Puget has  
7 "An equivalent to the investor-owned electric utility  
8 average"?

9 A. Yes.

10 Q. Now, how many of the electric utilities you  
11 list in your schedule 2 of Exhibit 797 -- the one we  
12 just looked at, have common equity ratios as low as  
13 the ratio that you recommend in this case?

14 A. I haven't looked at the individual common  
15 equity ratios but I know that the average electric  
16 industry equity ratio is in the 41 percent range, if  
17 you use the short-term debt.

18 Q. But for A-minus rated companies, do you  
19 know what that would be?

20 A. Well, the average of the industry is around  
21 A-minus and the average FA ratio for the industry is  
22 around 41 percent, so I think that's a pretty good  
23 indication.

24 Q. In order to determine that for each of

25 the companies that you list here you would go to the

(HILL - CROSS BY MARSHALL)

2992

1 CA Turner book that you just brought forward here?

2 A. No. They don't have that kind of detail in  
3 this monthly publication. They publish a yearly  
4 report that you could find that kind of information or  
5 you could go to the quarterly stock reports of each  
6 company or possibly get the information off of a  
7 computer service.

8 Q. You could, then, update this schedule to  
9 reflect what the common equity ratios are for the  
10 various companies listed in your schedule 2; is that  
11 right?

12 A. Sure. Certainly could be done. It  
13 wouldn't be comparable to the capital structure we're  
14 discussing in this case unless short-term debt were  
15 included.

16 Q. As a data request we would like the witness  
17 to provide that data using the material he referred  
18 to, the CA Turner, and you also used Value Line; is  
19 that correct?

20 A. Yes, sir, but I don't have the CA Turner  
21 annual report book that I referenced. I thought you  
22 were asking me how you could do it. I mean, I don't  
23 have that kind of information in the monthly reports  
24 and I could get that information from Value Line, but I

25 am sure that's not a difficult task. You folks have

(HILL - CROSS BY MARSHALL)

2993

1 the Value Line too, probably.

2 Q. When the rating agencies consider the  
3 appropriate bond rating to give an electric utility  
4 they do consider the common equity ratio, don't they?

5 A. Yes.

6 Q. They consider that to be one of the  
7 important things they look at?

8 A. It's one of the things. Bond rating  
9 process, as we discussed last week in the Washington  
10 Natural Gas case is a two-step process. And the  
11 rating agencies look first at more subjective  
12 measures, qualitative risk factors if you will, like  
13 the service territory, and that sort of thing, the  
14 customer mix. Then once they look at the qualitative  
15 factors called the determined business risk, because  
16 that's really what determines credit risk over the  
17 long term is business risk, and once that analysis is  
18 done then they turn to the the quantitative factors.  
19 One of those quantitative factors, and there are many,  
20 one of those is they don't usually look at the equity  
21 ratio as closely as they look at the debt to total  
22 capital ratio, but it's a capital structure parameter.

23 Q. So, again, it is fair to say that the  
24 common equity ratio is an important factor, one of the

25 quantitative factors that the rating agencies examine?

(HILL - CROSS BY MARSHALL)

2994

1 A. Yes, it is a factor that they examine. It  
2 is a quantitative factor and I guess I would have to  
3 say second-tier part of the analysis of credit risk.  
4 Certainly not the factor, the only factor that's  
5 considered.

6 Q. And you could do common equity ratio for  
7 each of these utilities that you've listed in your  
8 schedule 2 of Exhibit 797. It's just that you haven't  
9 performed that calculation?

10 A. Yeah. It's doable.

11 Q. Did you review Dr. Legler's testimony?

12 A. Yes, I did.

13 Q. Did you see his schedule 7 by any chance?

14 A. I don't recall what that was. I mean, I  
15 saw it and I am sure I read his testimony.

16 Q. Do you know where he goes through and  
17 compares the common equity ratios based on companies  
18 that have an A-minus bond rating?

19 A. I have his testimony and I can get it one  
20 second here.

21 MR. ADAMS: Counsel, can you cite us to the  
22 exhibit?

23 MR. MARSHALL: I believe -- I'm not sure  
24 exactly of the exhibit number. It's schedule 7 of

25 Dr. Legler's exhibit Exhibit 6 '78.

(HILL - CROSS BY MARSHALL)

2995

1 A. I have it.

2 Q. Now, you have reviewed that?

3 A. Yes.

4 Q. Of those companies how many of them listed  
5 in Dr. Legler's exhibit have automatic fuel adjustment  
6 clauses or equations?

7 A. I don't know.

8 Q. I take it that -- have you made a  
9 determination on your Exhibit 797 schedule 2 how many  
10 of the companies you've listed here have automatic  
11 fuel adjustment clauses or equations?

12 A. I haven't made that determination. I know  
13 from my experience that after the oil embargo in the  
14 1970's, fuel clauses became pretty commonplace in the  
15 electric utility industry, and I would say that today,  
16 although they are being phased out in places, that  
17 probably more utilities have them than don't have them.  
18 While we're talking about Dr. Legler's schedule 7, page  
19 1 of 2, I would just note that those equity ratios you  
20 see there from Value Line do not include short-term  
21 debt. And they should if they're going to be  
22 comparable to what we're talking about in this case.

23 Q. In order to make your determination of  
24 risks comparable when you compare one company to

25 another, isn't whether a company has an ECAC relative

(HILL - CROSS BY MARSHALL)

2996

1 to that determination of risk, comparative risk?

2 A. It is a factor that should be considered,  
3 but it's my understanding that although the ECAC, as  
4 you call it here, was discontinued the company still  
5 has some protection from fluctuations and weather  
6 through the PRAM, and matter of fact in the first page  
7 of the company's 1992 10K it discusses that in the  
8 third paragraph, it says the company, "the company is  
9 affected by various seasonal weather patterns  
10 throughout the year and therefore operating revenues  
11 and associated expenses are not generated even during  
12 the year." It goes on to discuss how that affects  
13 their earnings. Then it says, "With the implementation  
14 of the periodic rate adjustment mechanism, PRAM, in  
15 October 1991 earnings are no longer significantly  
16 influenced up or down by sales of plus electricity to  
17 other utilities or by variations in normal seasonal  
18 weather or hydro conditions."

19 So, even though the company doesn't have an  
20 automatic fuel adjustment clause it's clear they're  
21 telling investors that they are protected from those  
22 kind of fluctuations.

23 Q. Is that a fair and accurate statement for  
24 the company to make informing investors of their view

25 of the PRAM decoupling mechanism?

(HILL - CROSS BY MARSHALL)

2997

1 A. Well, I hope so. It's what they published  
2 in their 10 K. They could be in trouble if they're not  
3 making fair statements.

4 Q. We have heard some criticism that investors  
5 haven't been properly educated in that area. Do you  
6 believe that that 10 K statement is a fair  
7 representation of what PRAM decoupling is intended to  
8 do?

9 A. Yes.

10 Q. Have you also reviewed any of the exhibits  
11 relating to the Standard & Poor's questionnaire sent  
12 to the company? There's an Exhibit 582 in this case?

13 A. I've looked at it, reviewed it, yes.

14 Q. There was a cover letter to that Exhibit  
15 582, Standard & Poor's rating group to a Mr. Chris  
16 Moulton. Were you familiar with that as well?

17 A. I can't bring that to mind.

18 Q. Was there anything in that Standard &  
19 Poor's questionnaire that -- responses by Puget or in  
20 the cover letter that led you to believe that Puget was  
21 communicating inaccurately to investors about the PRAM  
22 decoupling mechanism?

23 MR. ADAMS: Your Honor, I think we're  
24 getting well beyond what -- the responsibilities of Mr.

25 Hill were in this case was to develop rate of return

(HILL - CROSS BY MARSHALL)

2998

1 analysis, not to determine whether the company was  
2 properly communicating with its investors. Mr. Elgin  
3 looked into the issue of whether or not he felt that  
4 investors were not being informed of all the benefits  
5 but that certainly was not Mr. Hill's charge.

6 JUDGE HAENLE: Mr. Marshall.

7 MR. MARSHALL: Whether investors have taken  
8 these risk reduction measures into account or not does  
9 bear on the testimony and conclusions of this witness.

10 JUDGE HAENLE: This witness does testify  
11 about risk of purchased power and a number of other  
12 things besides the cost of capital, Mr. Adams.

13 MR. ADAMS: I don't dispute that, your  
14 Honor. Just seemed to me this set of questions was  
15 going well afield from that. I certainly have no  
16 problem with the inquiries of that issue.

17 JUDGE HAENLE: Well, I am going to overrule  
18 the objection. If the witness has any information on  
19 that, if he doesn't that's fine, too.

20 A. I think I recall the question. I read the  
21 document, I am not very familiar with the document,  
22 and I don't think I can respond to your question of  
23 whether or not the company has told Standard & Poor's  
24 everything it can tell them about the PRAM. First of

25 all, Standard & Poor's is not an investing

(HILL - CROSS BY MARSHALL)

2999

1 organization. They disseminate their -- they're a  
2 news company basically, they disseminate financial  
3 news about the companies to the investment community  
4 and information does flow through them, but I believe  
5 your question was couched in the term of whether or  
6 not what the company was telling Standard & Poor's as  
7 if Standard & Poor was an investor and they're not.

8 Q. You indicated that utilities that have an  
9 automatic fuel adjustment clause or an ECAC-type  
10 mechanism would have, in your view, a lesser need for  
11 a higher common equity ratio. Is that a fair general  
12 statement?

13 A. Did I make that statement in my testimony,  
14 is that what you're saying?

15 Q. Is that a fair general statement?

16 A. I think that is a risk factor and any time  
17 a company is able to pass through its costs an  
18 automatic sort of basis it lowers the risk, and a  
19 lower risk would call for a lower common equity ratio.

20 Q. So when you're comparing Puget Power to the  
21 other companies in your schedule, isn't it relevant to  
22 try to determine whether those companies have an ECAC  
23 or automatic fuel adjustment mechanisms?

24 A. I think the risks that exist with those

25 companies that I am looking at in my sample group

(HILL - CROSS BY MARSHALL)

3000

1 which are different than the ones you keep referring  
2 to -- when you say companies, you point to the FERC  
3 analysis that I did which is open on your desk there.  
4 My more specific look at cost of capital analysis is  
5 with the same companies that your witness picked, and  
6 with those companies, as well as these others, the  
7 investors determine through the stock price they're  
8 willing to pay the risks that they see in these  
9 companies and the risks they're willing to bear. So I  
10 think that we're taking investor's opinions into  
11 account when we look at the market to determine the  
12 cost of capital.

13 Q. The market has already discounted these  
14 automatic fuel adjustment clauses?

15 A. As they are a part of the overall risk of a  
16 company, I would say that is correct, and remember,  
17 that although Puget doesn't have an automatic fuel  
18 adjustment clause per se, they say themselves to  
19 investors that they are protected from those kind of  
20 fluctuations. So I think that the risks are similar  
21 in that kind of regard to a company that does have  
22 that protection.

23 Q. So you're comparing apples to apples,  
24 you're saying investors have made the same

25 determination with respect to that portion of Puget's

(HILL - CROSS BY MARSHALL)

3001

1 PRAM decoupling mechanism as they have for companies  
2 that have automatic fuel adjustment clauses or  
3 equations?

4 A. I think that they are generally similar and  
5 the impact in and of itself on an overall investment  
6 risk for a utility would be very difficult to  
7 determine just that one issue. I think it's a  
8 small issue just by itself, and I think that these two  
9 mechanisms, one, the PRAM rate making mechanism, and  
10 the other, the ECAC, are similar enough in construction  
11 that they would be seen as imparting similar risk with  
12 regard to weather or a fuel-specific issues. Of  
13 course, the PRAM for Puget is much broader than that  
14 and goes to overall revenues stabilization which is  
15 another risk reduction step beyond an ECAC.

16 Q. The ECAC would include fuel-type things  
17 such as the cost of coal or gas or fuel for hydro and  
18 you're talking about decoupling having also an impact  
19 or an effect on weather related or economic related  
20 issues?

21 A. Right, and those weather and economics, as  
22 we say in my analysis in this case, are the much, much  
23 bigger factors which affect risk.

24 Q. Now, have you calculated the part of this

25 mechanism relating to decoupling, that is the weather

(HILL - CROSS BY MARSHALL)

3002

1 and the economic conditions separately from the fuel  
2 type adjustments, the ECAC type adjustments?

3 A. No. I have looked at the three variables  
4 that I described in my testimony. I looked at flow  
5 rates on the Columbia River and I looked at economic  
6 variables that specifically was employed in the Puget  
7 service area, and the other variable I looked at was  
8 heating degree days and I looked at the correlation  
9 between those variables and the company's quarterly  
10 revenues and quarterly net income and found that the  
11 river flow rates indicative of the hydro conditions  
12 were not significantly correlated with the company's  
13 revenues or net income over the past decade, and that  
14 is due most probably, I believe, to the existence of  
15 the ECAC during that period of time. In other words,  
16 what my analysis showed here is the ECAC worked,  
17 essentially.

18 Q. So a fuel adjustment mechanism would be  
19 appropriate for a hydro-based system where the water  
20 is the fuel?

21 A. Well, I think that's a determination the  
22 Commission makes. I can tell you whether or not a  
23 fuel adjustment clause would reduce risk, and I  
24 believe it would, but again, the company makes it

25 quite clear to investors that those kind of risks are

(HILL - CROSS BY MARSHALL)

3003

1 taken care of, quote-unquote, in the PRAM mechanism.

2 Q. And your analysis was that for quite a  
3 period in the 80's -- what period did you say was  
4 covered by?

5 A. '82 to '91.

6 Q. '82 to '91 that hydro fuel risk was already  
7 being taken care of. Was that your analysis?

8 A. That's what my analysis showed. It showed  
9 that the variability in the company's revenues and net  
10 income were not well correlated with hydro conditions.  
11 In other words, they did not have a significant impact  
12 on the variability of the company's revenues and net  
13 income during that period.

14 Q. Would there be any way for you to take the  
15 work that you have done and separate out just the  
16 weather and the economic portion of decoupling from  
17 those things that were like ECAC fuel adjustment  
18 mechanisms?

19 A. I think it would be possible if there had  
20 been no fuel clause over that time. Then if you were  
21 able to determine an impact of the flow rates, if that  
22 indeed is a good measure of the availability of hydro  
23 power, then you might be able to make that  
24 determination, but since there was an ECAC in place

25 over that period of time I don't believe it's possible

(HILL - CROSS BY MARSHALL)

3004

1 looking at the data that I've looked at in this

2 proceeding to do that.

3 Q. Now, if the utility's revenue fluctuates

4 due to changes in weather and economic conditions and

5 if decoupling affected those you have done a

6 calculation that shows what that's been in the last 18

7 months?

8 A. No.

9 Q. Have you done any analysis on what the

10 revenue fluctuation due to weather and the economy has

11 been for Puget over the last 18 months?

12 A. Over the last decade. I don't know where

13 you get the 18 month figure.

14 Q. Since the PRAM decoupling mechanism was

15 established by --

16 A. No, my numerical analysis of the company's

17 revenue and net income volatility went up through the

18 year end 1991.

19 Q. So you haven't done a calculation on the

20 revenue fluctuation for the past 18 months isolated to

21 the decoupling portion of the mechanism?

22 A. No. I don't think that you're going to get

23 sample size big enough in that 18 month period to get

24 any kind of reliable results. You need a larger

25 sample size than that. You might. I haven't done

(HILL - CROSS BY MARSHALL)

3005

1 that analysis. I don't believe that that would be the  
2 case. I don't think you would get good results for  
3 looking at 18 months.

4 Q. Do you have any approximation on what the  
5 revenues would be in that period of time, that 18  
6 month period of time that would have been affected by  
7 just a decoupling portion of the mechanism? Do you  
8 have any estimate at all?

9 A. I am not sure what you mean by affected, but  
10 I know that the company has made a filing of requests  
11 of \$42 million in 1992 having to do with PRAM  
12 recoveries.

13 Q. Do you know how Puget's -- do you have any  
14 idea how Puget might compare to utilities that might  
15 have equations in terms of the effect on volatility  
16 that you discuss in your testimony for that 18-month  
17 period?

18 A. No, I haven't done an analysis on that  
19 past 18 months. I have looked at the market response  
20 with the stock price, comparing Puget's stock price  
21 movements to other companies in the similar sample  
22 group. But I haven't looked at volatility of revenues  
23 and net income since the implementation of PRAM.

24 Q. I believe on page 57 you did indicate that

25 you looked at the stock market reaction to

(HILL - CROSS BY MARSHALL)

3006

1 implementation of PRAM. I think on line 18 you meant  
2 September 1992 instead of September 1991; is that  
3 right?

4 A. That is correct.

5 Q. So that's another correction that you would  
6 make to your testimony?

7 A. Yes. On page 57, thank you for pointing  
8 that out, page 57, line 18 --

9 JUDGE HAENLE: I will make that correction  
10 on the official copy.

11 A. Page 57, line 18 September 1991 should read  
12 '92.

13 Q. You indicated there that the market is  
14 tending to discount the advantage of PRAM decoupling?

15 A. That's my opinion, yes.

16 Q. Have you talked to any rating agency people  
17 or investor groups to come to that conclusion?

18 A. No, I haven't. I presented a graph in  
19 my schedules Exhibit 16 that shows that there was a  
20 difference in market index price between Puget Power  
21 and the sample group that began to be established in  
22 like the early second quarter of 1991 and remained  
23 pretty expanded until the fourth quarter 1992 and then  
24 began to diminish.

25 MR. ADAMS: Mr. Hill, just for the record

(HILL - CROSS BY MARSHALL)

3007

1 you're referring to Exhibit 797 schedule 16, I believe.

2 Q. Turning to another topic. On page 36 you  
3 state that your recommended capital structure would  
4 produce an interest coverage of 2.83 times; is that  
5 correct, line 67?

6 A. Yes. That is also shown in my schedule 12.

7 Q. Now, is interest coverage also another  
8 important quantitative factor to the rating agencies  
9 in setting bond rating for electric utilities?

10 A. Yes, it is. It is a factor that is  
11 considered. It is not the factor. It is one of the  
12 factors that is considered.

13 Q. Don't the rating agencies look at interest  
14 coverage on a cash or XAFUDC basis?

15 A. Yes, they often do. Look at it both ways.

16 Q. What level of interest coverage would be  
17 produced by your recommended return on equity and  
18 capital structure on a cash basis?

19 A. I haven't done that analysis.

20 Q. Is it a good policy to recommend a return  
21 on capital and capital structure without knowing what a  
22 cash coverage it will produce?

23 A. Well, I know that the ex-AFUDC level of  
24 Puget is relatively low and I wouldn't expect that the

25 cash coverage would be very different than what

(HILL - CROSS BY MARSHALL)

3008

1 appears in my schedule 12 or my testimony. I do check  
2 coverages when I make a recommendation. I think that  
3 if a regulatory body pays too much attention to  
4 coverages then we will create what I call a tail  
5 wagging dog effect of regulation, in other words, all  
6 you need to know is the coverage and you can back into  
7 a revenue requirement and I don't think that's what  
8 cost-based rates are all about. The cost of capital  
9 the company is allowed to recover in rates should equal  
10 the cost of that capital in the marketplace.

11 Q. Could you do that calculation if requested?

12 A. The cash --

13 Q. Coverage?

14 A. -- coverage calculation? I don't have the  
15 accounting data to do that calculation. My schedule  
16 12 is based on a capital structure recommendation and  
17 uses the capital structure to derive a pre-tax  
18 coverage. It's an approximation and it's not an exact  
19 accounting.

20 Q. What information would you need to do that  
21 calculation?

22 A. Well, I suppose I would need someone to  
23 develop a proforma income statement based on this  
24 recommendation.

25 Q. At page -- turning now to page 48 of your

(HILL - CROSS BY MARSHALL)

3009

1 testimony, line 7 of 14. You have a quote there from  
2 Merrill Lynch regarding PRAM; is that correct?

3 A. That is correct.

4 Q. And would you say from that that Merrill  
5 Lynch understands PRAM and its advantages, as far as  
6 you're concerned?

7 A. Yes. Generally, I think that the salutary  
8 effects of PRAM are widely understood in the investment  
9 community.

10 Q. How do you define "decoupling"?

11 A. Decoupling is the separation of revenues  
12 from sales.

13 Q. And you, in fact, have presented a paper in  
14 September of 1992 on the impact of decoupling on  
15 electric utility operating risk?

16 A. Yes, to NARUC.

17 Q. Did you define decoupling as being intended  
18 to promote energy conservation by separating utility  
19 revenues from aggregate unit sales?

20 A. I would say that's my definition.

21 Q. So the idea of decoupling is to promote  
22 energy efficiency, energy conservation?

23 A. That's the concept, yes.

24 Q. Now, weather volatility, in fact, economic

25 volatility is often a product of the way in which

(HILL - CROSS BY MARSHALL)

3010

1 rates are designed in the first instance; is that  
2 right? The actual way in which customers pay on a  
3 fixed charge basis whether they have a declining block  
4 or inverted block rate structure or do you know?

5 A. No. It's due primarily to changes in the  
6 weather.

7 Q. If you had an old style way of making rates  
8 where you had a high demand charge and a declining  
9 cost of power as you purchase more power, would that  
10 tend to diminish the effect of weather or increase the  
11 effect of weather?

12 A. Well, I am not a rate design expert but I  
13 think just considering it that it would tend to  
14 decrease the impact of, for example, if you had a very  
15 cold winter it would tend to decrease the impact.

16 Q. Sure. If you had declining rates instead  
17 of increasing rates at the tail, at the outer edge,  
18 they would tend to magnify the effects of weather or  
19 the economy. Isn't that fair to say?

20 A. I think you misspoke.

21 Q. If you had -- what I am trying to get at is  
22 the way in which rates are designed now so that as  
23 you buy more energy your rates go up that tends to  
24 magnify the fluctuations in weather or in the economy.

25 Is that fair to say?

(HILL - CROSS BY MARSHALL)

3011

1 A. I think that's probably a fair statement.  
2 The degree to which that changes the overall  
3 variability of a company's revenues I am not prepared  
4 to say.

5 Q. Were you finished with your answer?

6 A. I wasn't answering. I was just  
7 extemporaneously talking.

8 Q. The rates, the rate design now is designed  
9 in large part in order to help promote conservation by  
10 increasing the amount of costs per kilowatt hour used  
11 out beyond a certain point?

12 A. That is correct.

13 MR. ADAMS: Your Honor, I guess I won't  
14 object. He's answered but he's not an expert on  
15 Puget's rate design and we don't hold him out to be  
16 such.

17 MR. MARSHALL: I was asking that as a  
18 general principle.

19 Q. Now, the state of Washington, are you  
20 familiar with the state of Washington's bond rating?

21 A. No.

22 Q. Have you consulted with any state on its  
23 bond ratings?

24 A. No.

25 Q. Have you been responsible for any bond

(HILL - CROSS BY MARSHALL)

3012

1 placements or advised any utility on placing bonds?

2 A. No.

3 Q. In your calculations on risk, did you  
4 attempt to build into your model a lag structure?

5 A. With regard to what?

6 Q. With regard to rendering bills, degree  
7 days, employment, those types of factors.

8 A. As I was doing the analysis of revenue  
9 volatility I investigated different lags to see what  
10 kind of correlation coexisted, and the only parameter  
11 for which that was beneficial was flow rates and that  
12 turned out to be an insignificant parameter so lags  
13 didn't affect the analysis in any way. I examined that  
14 issue in the process of doing the analysis.

15 Q. I do have a record requisition for you. I  
16 would like to take your schedule 13 in Exhibit 797 and  
17 the three regressions that you run in that schedule I  
18 would like you to add one more variable and the  
19 variable is the number of common shares outstanding at  
20 the beginning of each quarter, and if you need data on  
21 the shares we would be happy to supply that for you.

22 JUDGE HAENLE: That would be record  
23 requisition 583.

24 (Record Requisition 583.)



25 have an impact on your use of the end of quarter data?

(HILL - CROSS BY MARSHALL)

3014

1 A. I was aware that the company was issuing  
2 quite a bit of medium term debt and retiring other  
3 debt and they issued lots of securities in 1992. I  
4 didn't pay attention to exactly when in the quarter  
5 that happened. I just took the company's report at  
6 quarter end.

7 Q. Wasn't there, for example, a \$75 million  
8 preferred stock issue in July that reduced the June  
9 short term debt balance of \$110 million?

10 A. I know there was a preferred stock  
11 issuance. I don't know the impact specifically on  
12 what was done with those funds. If they were used to  
13 recall the debt or refund the debt then I suppose  
14 that's correct.

15 Q. Even if it didn't refund the debt might it  
16 have had an impact on the ratios that you examined?

17 A. Well, the capital structure ratios in point  
18 of fact change every day. You have collections in  
19 your bank account and if you did a capital structure  
20 every day it would be different to some degree.

21 Q. I am just looking at the quarter by quarter  
22 analysis that you made. Were you aware that there was  
23 a \$60 million common stock offering in October that  
24 reduced the September short-term debt balance of \$110

25 million?

(HILL - CROSS BY MARSHALL)

3015

1 A. Yes.

2 Q. So that also would have had an impact on --

3 A. Yes, that's true, but the company does make  
4 these reports quarterly and the investors are aware of  
5 these reports and they know that generally over time  
6 the company has been capitalized with a level of equity  
7 in the capital structure that approximates 40 percent  
8 for a very long time.

9 Q. And also then in December of 1992 were you  
10 aware that there was \$125 million of short term notes  
11 issued in anticipation of the redemption of \$114  
12 million of PEI bonds?

13 A. Yes.

14 Q. So that had the effect of doubling up some  
15 extra debt at the end of 1992?

16 A. Yes.

17 Q. Did you make any adjustment in your  
18 calculations of 1992's capital structure for the  
19 timing of those things that we've just discussed?

20 A. No. As I discussed, I believe that  
21 investors who evaluate the same kind of information  
22 I've looked at would come to virtually the same  
23 conclusion I had that the company is effectively  
24 capitalized with 40 to 41 percent equity. Has been

25 for many years.

(HILL - CROSS BY MARSHALL)

3016

1 MR. VAN NOSTRAND: No further questions.

2 JUDGE HAENLE: Take our afternoon recess at  
3 this time. Let's take 15 minutes.

4 (Recess.)

5 JUDGE HAENLE: Let's be back on the record  
6 after our afternoon recess. Do you have questions,  
7 Mr. Trotter?

8 MR. TROTTER: Yes, I do.

9

10 CROSS-EXAMINATION

11 BY MR. TROTTER:

12 Q. Mr. Hill, beginning with the FERC generic  
13 analysis, would you agree that because that is a  
14 generic analysis it is rather mechanical?

15 A. Yes, yes. It was designed to be mechanical  
16 and, in fact, it is.

17 Q. And on page 14 of your testimony you  
18 conclude that the FERC generic return will necessarily  
19 overstate the current cost of equity capital from  
20 Puget; is that correct?

21 A. Yes, that's correct. That's because the  
22 way it's constructed the stock price goes back into the  
23 past too far, I believe, to represent the current costs  
24 of capital.

25 Q. And you have estimated a growth rate less

(HILL - CROSS BY TROTTER)

3017

1 than the growth rate FERC estimates; is that correct?

2 A. If you're referring to the growth rate for  
3 Puget Power, yes, that's correct.

4 Q. And do you recommend that the Commission  
5 use your growth rate or the generic growth rate?

6 A. I would recommend they use my growth rate  
7 for Puget and the similar sample companies. The  
8 generic analysis is meant to be looked at in toto.  
9 In other words, the individual analyses that appear  
10 are not usable as, for example, you couldn't take the  
11 4.32 percent growth rate and add it to Puget's  
12 dividend yield and come up with a meaningful number.  
13 It's meant to represent an industry average growth  
14 rate and that's really the only way it should be used.

15 Q. You were asked a number of questions about  
16 companies with fuel adjustment clauses and you stated  
17 that PRAM is broader than a clause that just tracks  
18 fuel. Do you recall that?

19 A. Yes. That's correct.

20 Q. And then you were asked about the other  
21 aspect of PRAM, that is, decoupling. Do you recall  
22 that?

23 A. Yes.

24 Q. Would yet a third aspect of PRAM be

25 recovery of purchased power costs?

(HILL - CROSS BY TROTTER)

3018

1 A. Yes. Purchased power would not necessarily  
2 be included in a fuel -- quote-unquote fuel recovery  
3 clause. Sometimes they are, sometimes they're not, but  
4 it is not necessarily so. So, a PRAM adjustment  
5 mechanism is a much broader risk-reducing rate  
6 mechanism than is a fuel clause. And therefore would  
7 require a specific adjustment to the allowed return.

8 Q. You were asked some questions about a  
9 statement from Merrill Lynch. Would you turn to page  
10 7 of your testimony. And on line 16 am I correct that  
11 Merrill Lynch is predicting a dividend growth over the  
12 1991 to '96 period of approximately 2.2 percent?

13 A. That is correct.

14 Q. And you indicate on line 20 and 21 that  
15 Merrill Lynch is telling investors to expect a return  
16 of 9.1 from their investment?

17 A. Yes.

18 Q. And I take it that's the equity investment?

19 A. Yes, they're telling equity investors that  
20 they should expect a return of around 9 percent for  
21 Puget Power, and although I believe that's a little bit  
22 low it certainly is in the ballpark and all of the  
23 analysts in this case except for the company's  
24 analysts have come up with DCF results in the 10

25 percent range for this company.

(HILL - CROSS BY TROTTER)

3019

1 Q. On pages 15 and 16 of your testimony you  
2 discuss market-to-book ratios; is that correct?

3 A. Correct.

4 Q. And you spoke earlier with Mr. Marshall  
5 about Puget's market-to-book being in the range of 1.6  
6 or thereabouts?

7 A. Yes.

8 Q. And on lines 14 through 17 on page 16 you  
9 state that if market prices are greater than book  
10 value as they now are in the electric utility  
11 industry, the market price to book value ratios  
12 substantially exceeds unity and the expected book  
13 equity returns, the 11 to 12 and a half percent range  
14 of return noted above exceed the cost of equity  
15 capital. Do you see that?

16 A. Yes.

17 Q. And then you quote from Mr. Olson's  
18 deposition on lines 8 through 13; is that right?

19 A. That is correct.

20 Q. Is his testimony consistent with your  
21 belief?

22 A. Yes, essentially that if the market price  
23 exceeds the book value that means that investors  
24 expect the company to earn a return on book that

25 exceeds the market costs of capital.

(HILL - CROSS BY TROTTER)

3020

1 Q. Now, you selected a group of six utilities  
2 for your analysis of Puget's cost of equity; is that  
3 right?

4 A. That is correct.

5 Q. And those are the same utilities that were  
6 used by Dr. Lurito and Dr. Olson; is that correct?

7 A. Yes. I believe Dr. Lurito testified he did  
8 his own analysis and came up with the same companies.  
9 I reviewed Dr. Olson's analysis and thought his  
10 selection process was reasonable and used those  
11 companies.

12 Q. On page 46 of your testimony you're  
13 referring to a risk and volatility analysis, and I  
14 believe you assumed that Puget's cost of equity was 50  
15 basis points or that the PRAM was worth 50 basis  
16 points on Puget's cost of equity capital. Am I  
17 correct?

18 A. That is correct. Did a couple of different  
19 analyses to determine that a reduction in the  
20 company's volatility would be equivalent to investors  
21 being indifferent to a 50 basis point reduction in the  
22 allowed return on equity. And I implemented that  
23 change in the allowed return on equity through a  
24 change in the recommended capital structure on which

25 rates will be based.

(HILL - CROSS BY TROTTER)

3021

1 Q. Now, turn to page 57 of your testimony.  
2 And again, you were asked by Mr. Marshall, apparently  
3 after PRAM the stock market placed evaluation premium  
4 on Puget stock but after the Commission's order last  
5 fall the premium began to diminish. Is that your  
6 testimony?

7 A. That is my testimony, yes.

8 Q. And the PRAM 2 order last fall created some  
9 doubt about the future of the PRAM; is that correct?

10 A. Yes. It is my understanding that the  
11 Commission was questioning the length of the time that  
12 the company would be able to recover their accruals and  
13 there was a FASB emerging issues task force report  
14 about whether or not those earnings would have to be  
15 written off if they were recovered over too long a  
16 period and the Commission changed its order. But it  
17 created uncertainty in the minds of investors, as did  
18 the consideration of PRAM issues in this proceeding,  
19 and I think that currently investors are not imputing a  
20 market price increment, positive increment, to Puget  
21 because they have concerns about the continuance of  
22 PRAM as they know it and uncertainty has been injected  
23 into the PRAM issue, and therefore based on the  
24 analysis that I've done with recent market prices, if

25 PRAM is to be accounted for then the 50 basis point

(HILL - CROSS BY TROTTER)

3022

1 reduction should be applied to the allowed costs of  
2 equity.

3 Q. As shown on line 11 and 12 of page 57 the  
4 actual computation was 57 and a half basis points and  
5 you rounded that down to 50?

6 A. Yes. I did a lot of rounding down in this  
7 analysis. Regression analysis showed that revenues  
8 were -- virtually 90 percent of the volatility of  
9 revenues was accounted for by weather changes and  
10 changes in the economic conditions and virtually 80  
11 percent of the changes in net income by quarter were  
12 accounted for by weather and economic condition  
13 changes. And I rounded that estimate down to 50  
14 percent to get my two estimates for the impact on  
15 revenues and net income. So that's not the only  
16 rounding down I did to make this a conservative, I  
17 believe, adjustment.

18 Q. Turn to page 65 of your testimony. On line  
19 6 you indicate that Moody's reported in 1992 that  
20 since 1982 O and M expenses for the electric industry  
21 industry have averaged 55 and a half percent of  
22 revenues?

23 A. Yes.

24 Q. And for Puget since 1982 its O and M

25 including purchased power has averaged 55 percent of

(HILL - CROSS BY TROTTER)

3023

1 revenues; is that right?

2 A. That is correct. And I show that where I  
3 derived that average on my schedule 17 of Exhibit  
4 T-797.

5 Q. And in both of those averages is purchased  
6 power included not just for Puget but for the average  
7 utility?

8 A. Yes.

9 JUDGE HAENLE: Please be sure that counsel  
10 has finished his question before you begin to answer  
11 it so that you know the full question.

12 MR. ADAMS: One other thing, Mr. Hill. The  
13 T is only in front of your testimony so 797 does not  
14 have a T in front of it.

15 Q. Turn to page 67 of your testimony and on  
16 the prior page and here you are talking about the  
17 analysis that Mr. Abrams and Mr. Miller sponsored by  
18 the company give and you indicate the generic  
19 assumption of the rating agency analysis that the cost  
20 of the imputed debt is 10 percent. Do you see that?

21 A. Are you talking about at the top of page  
22 67?

23 Q. Yes.

24 A. Yes.

25 Q. That is the cost of the imputed debt that

(HILL - CROSS BY TROTTER)

3024

1 both Mr. Miller and Mr. Abrams used?

2 A. Yes, they say for ease of calculation they  
3 generally use 10 percent.

4 Q. Is that a reasonable cost rate of debt  
5 given today's circumstances?

6 A. No, it isn't. I think it points out the  
7 generic nature of these kinds of rating agency  
8 adjustments. The cost rate for single A debt is in  
9 the high 7 percent range, 7.8, 7.9 percent. More than  
10 200 basis points below the 10 percent they use.

11 Q. Turn to page 72 of your testimony, and  
12 on line 6 you address the company's proposed capital  
13 structure increasing the equity ratio of 40 to 45  
14 percent reducing the short-term debt ratio from 4 to 2  
15 percent. Do you see that?

16 A. Yes.

17 Q. Based on your analysis the 45 percent  
18 equity ratio is too expensive; is that right?

19 A. That is correct.

20 Q. Is there any justification in your mind for  
21 a company reducing its short-term debt from 4 to 2  
22 percent given today's market and the market you would  
23 expect to occur on average over the time rates  
24 during the time that we are in this proceeding?

25           A.     No. I think that the company's position in

(HILL - CROSS BY TROTTER)

3025

1     this case to reduce the short-term debt vis-a-vis the  
2     financings that it's undertaken in the past year which  
3     are using medium term debt but the shorter end of the  
4     medium term debt are sort of in direct opposition to  
5     each other. In other words, the company is saying one  
6     thing and doing another. They are very definitely  
7     using the shorter end of the spectrum because the old  
8     curve is very steep which is right now expected to  
9     continue to be that way which means that short term  
10    rates are very far below in cost long term rates. It's  
11    350, 400 basis rates between T-bills and T-bonds right  
12    now. So it makes sense with inflation continuing to  
13    remain low for the company to avail itself of those  
14    short-term rates. And instead the company suggests in  
15    this case that they change their historical average  
16    level of short-term debt from about 4 percent, cut that  
17    in half to 2 percent. I don't think that would be wise  
18    at this point in time.

19           Q.     Have you reviewed the testimony of all of  
20    the cost of equity witnesses in this case?

21           A.     Yes, I have.

22           Q.     There was a question asked from a  
23    Commissioner last week regarding how far apart the  
24    witnesses are with respect to cost of equity capital.

25 Do you have an opinion on that?

(HILL - CROSS BY TROTTER)

3026

1 A. I think the witnesses are all remarkably  
2 close together. My recommendation is 10 percent in  
3 this case. Dr. Lurito's recommendation is 10.25  
4 percent without his flotation cost adjustment with  
5 which I disagree. Mr. Legler's testimony, his DCF  
6 analysis is in the high 19 and every other analysis  
7 he does except his cap M analysis is in the 10 percent,  
8 10 and a half range. Dr. Peseau is also in the 10 and  
9 a half percent range, and one thing I disagree with him  
10 on is he used Dr. Olson's long term average stock price  
11 dividend yield which I think kind of overstates his  
12 numbers. So in my way of thinking -- and even if you  
13 update the Charlie Olson's results to current time  
14 period his number falls down into the range also. So  
15 in my way of thinking, the Commission is presented in  
16 this case with a very narrow range of cost of equity  
17 estimates and they fall in the 10 to 10 and a half  
18 percent range, all of them.

19 Q. With respect to Dr. Legler's -- I will  
20 represent to you that he testified that had he just  
21 used DCF his recommendation would be lower, and if you  
22 would just assume that, is there any justification in  
23 your mind to increase your DCF analysis based on beta  
24 or a method utilizing beta?

25           A.     Well, it's been my practice for some time

(HILL - CROSS BY TROTTER)

3027

1     to use the DCF in combination with three other  
2     techniques that I've done for a number of years and  
3     the cap M is one of those techniques.  It is a  
4     supportive technique that I would not use to change,  
5     substantially change a DCF analysis, but for example.  
6     If I had DCF analysis that gave me a result of 10  
7     percent, say.  And I did my other three analyses and  
8     they all had results of 10 and a half to 11 percent,  
9     then I would be inclined to recommend something higher  
10    than 10 percent, although it would be relatively  
11    close, say 10 and a quarter.  So I think there is some  
12    justification for looking at other results.  However,  
13    I think that the cap M especially has sort of been in  
14    the limelight over the past couple of years with  
15    regard to the beta particularly and there have been  
16    some academic articles published specifically by  
17    Eugene Fama, a long time supporter and one of the  
18    initial supporters of the cap M.  He has come out in  
19    1992 with a very indepth analysis of beta saying that  
20    beta is not correlated to anything in particular.  So  
21    it is not a good measure of risk and return.  So the  
22    cap M analysis per se, which I believe produces  
23    Dr. Legler's highest result, is certainly not an  
24    analysis that I would base a cost of capital

25 recommendation on.

(HILL - CROSS BY TROTTER)

3028

1 Q. Was it your view that that method is highly  
2 volatile?

3 A. That method is highly volatile. It's -- it  
4 depends to a great deal on the selection of the inputs  
5 that are used with the model. One of the foremost  
6 users, if you will, of the cap M these days is a  
7 fellow named Roger Ibbotson and I am involved in a  
8 case in Illinois with him and at one time he used  
9 three month T-bills and now he decides that 30 year  
10 T-bonds are better, and as we were saying a moment  
11 ago, the difference in that choice can mean the  
12 difference of 4 percent in the allowed cost of  
13 capital. So that's a very volatile methodology.

14 THE WITNESS: I B B O T S O N.

15 Q. You mentioned the pressure and flotation  
16 cost adjustment. Isn't it true that Dr. Lurito in  
17 making his flotation or pressure cost adjustment does  
18 so on the basis of a 1.07 market-to-book ratio?

19 A. Yes, he does, and while I have no problem  
20 with the idea that a goal of regulation should be to  
21 allow rates that are equal to costs and with regard to  
22 cost of equity if that happens there will be a  
23 tendency for the market price to tend toward back  
24 value, I believe that one of the problems I see with

25 Dr. Lurito's flotation cost analysis is he believes

(HILL - CROSS BY TROTTER)

3029

1 that there is a very hard and strict correlation  
2 between the allowed equity return and the resulting  
3 market price so much so that he carries out -- he  
4 believes he can carry out a flotation cost adjustment  
5 that will give him a precise market price 1.07 times  
6 booked value as a result of a particular allowed rate  
7 of return. To be quite frank, costs of capital  
8 analysis is just not that accurate, and while you can  
9 virtually say there are tendencies for the market  
10 price to respond to allowed returns and tendencies for  
11 market price to approach book value over time, those  
12 things are not going to happen in sort of a landslide  
13 format, and I have a difficult time with his reliance  
14 on that very strict adherence to the mathematical  
15 relationship between allowed return and market price.  
16 It just doesn't happen that quickly that way in the  
17 marketplace.

18 Q. We set rates over time, don't we?

19 A. We set rates over time, that's right.

20 Q. Now, with respect to -- I noticed in your  
21 qualifications you've indicated that you've testified  
22 in Maine?

23 A. That is correct.

24 Q. And we've had some testimony on the Central

25 Maine Power experiment. There seems to be a

(HILL - CROSS BY TROTTER)

3030

1 divergence of views of whether decoupling is dead there  
2 or whether it still has some breath left. Do you have  
3 any personal knowledge of that?

4 A. Well, decoupling, the initial decoupling  
5 experiment was ended by the Maine Commission in  
6 January, in a January order. I was involved in that  
7 proceeding. The decoupling experiment was supposed to  
8 end in March, I believe, of 1994. The Commission  
9 ended it at the end of the year or in October or  
10 November of 1993, roughly six months early.  
11 Immediately upon the order the Commission ordered the  
12 company to file a new rate case. In the new rate case  
13 filing there is another permutation of what they call  
14 the ERAM, Electric Rate Adjustment Mechanism, included  
15 in the company's filing. So it is confusing. The  
16 Commission has ruled that the initial decoupling  
17 mechanism be discontinued, the company has refiled  
18 another idea and the Commission is considering it.

19 MR. TROTTER: That's all I have, thank you.

20 JUDGE HAENLE: Do you have questions,  
21 Mr. Richardson?

22 MR. RICHARDSON: I do, your Honor, thank  
23 you.

24

25

CROSS-EXAMINATION

(HILL - CROSS BY RICHARDSON)

1 Q. As a housekeeping item, on page 66 of your  
2 prefiled testimony at line 15 you used the word  
3 "buying" in that line. Do you mean building?

4 A. Yes.

5 Q. So that should read rather than "building  
6 actually puts"?

7 A. Yes, this is another change in my  
8 testimony.

9 MR. RICHARDSON: Page 66, Commissioners, at  
10 line 15.

11 JUDGE HAENLE: I will make that correction  
12 on the official copy.

13 Q. If you would turn to page 40 of your  
14 prepared testimony. You state at line 3 on that page  
15 that "One of the primary reasons Puget's witness Olson  
16 overstates his estimated cost of capital is the proxy  
17 he used to estimate investor expected growth." What  
18 was the proxy that Dr. Olson used to estimate investor  
19 expected growth?

20 A. Well, the only growth rate that he produces  
21 in his analysis which is close to that which he  
22 recommends is his growth rate for market price. So,  
23 the only conclusion that we could come to is that he  
24 relied heavily on market price to determine his DCF

25 growth rate.

(HILL - CROSS BY RICHARDSON)

1 the case.

2 Q. I guess you would conclude that using the  
3 market price to estimate growth is not a generally  
4 accepted method for estimating growth, is it?

5 A. That is correct, it is not widely used.

6 Q. Turn to page 66 of your prefiled testimony,  
7 please. Never mind, that was the housekeeping item.  
8 Page 16 of your prefiled testimony. I would like to  
9 follow up a little bit on the questions you were asked  
10 by Mr. Trotter dealing with market-to-book ratios.  
11 You informed Mr. Trotter that when market-to-book  
12 ratios exceed one investors expect the company to earn  
13 above its cost of capital. Is that a fair  
14 characterization?

15 A. Yes.

16 Q. And in your testimony on page 16, line 16  
17 as well, you refer to the word unity. Does that mean  
18 one?

19 A. Yes.

20 Q. If this Commission sets Puget's cost of  
21 capital -- sets a revised cost of capital that is  
22 unexpected, market-to-book ratio wouldn't actually  
23 go to unity precisely, would it?

24 A. Well, that was sort of the discussion I had

25 with Mr. Trotter about the assumption, Dr. Lurito's

(HILL - CROSS BY RICHARDSON)

1 assumption that -- which is flotation costs based  
2 on that there's a hard mechanical relationship there.  
3 I think we can safely say that there would be a  
4 tendency for the market price to tend towards book  
5 value when the allowed return on equity is equal to  
6 the cost of that equity capital. That could happen  
7 through the market price remaining constant and book  
8 value increasing or the market price growing at a  
9 lower rate than book value over time. There are  
10 different ways that it can happen. Doesn't  
11 necessarily mean that there would be a precipitous  
12 fall tomorrow in the market price if the Commission  
13 allowed the company to earn its cost of capital today.

14 Q. You would be surprised, wouldn't you, if  
15 there would be a precipitous fall in the market price  
16 of Puget stock?

17 A. I would be surprised but I would also  
18 caveat that if I knew what the market was going to do,  
19 I wouldn't have to work for a living.

20 Q. We will be watching your trades with  
21 interest.

22 MR. RICHARDSON: That's all I have, your  
23 Honor.

24 JUDGE HAENLE: Questions, Commissioners?

25

(HILL - EXAM BY CHAIRMAN NELSON)

3036

1

EXAMINATION

2

BY CHAIRMAN NELSON:

3

Q. Mr. Hill, has there been a change in  
4 personnel at the Maine Commission?

5

A. Yes, Commissioner Gordon is no longer  
6 there, I don't believe.

7

Q. Do you know who has replaced him?

8

A. I think Liz Paine may have. I don't know  
9 if they went inside the Commission or outside.

10

Q. Your discussion about purchased power and  
11 investor -- the analyst's concern about purchased  
12 power prompts this question. Are you aware of any  
13 other Commission in the country which has attempted to  
14 adjust specifically for purchased power in the  
15 utility's cost of capital?

16

A. It's been presented in several cases that  
17 I've been in in the past two years, utilities have  
18 requested it. I've never seen it granted. It was not  
19 granted in California. I was involved in a West Penn  
20 Power case in Pennsylvania. It was not granted.  
21 Maryland it was not granted. And so, to my knowledge,  
22 it has not been.

23

Q. I asked this of a previous witness. I had  
24 heard through the grapevine but been too lazy to

25 track it down that the Georgia Commission may have

(HILL - EXAM BY CHAIRMAN NELSON)

3037

1 done an explicit adjustment but you have no knowledge  
2 of that either?

3 A. I have no knowledge of that either.

4 Q. Thank you.

5

6 EXAMINATION

7 BY COMMISSIONER CASAD:

8 Q. Afternoon.

9 A. Afternoon.

10 Q. I am a Commissioner who asked a question of  
11 Dr. Lurito along the lines of there are some very  
12 eminent cost of capital witnesses in this case, all  
13 highly educated, highly trained, broadly recognized in  
14 their profession, and they seem to arrive at different  
15 conclusions and the conclusions seem somewhat related  
16 to the parties they represent. That brought a gasp  
17 from Dr. Lurito so I didn't pursue that. But then  
18 Dr. Lurito advised me that really there wasn't very  
19 much difference and if Dr. Olson had updated his  
20 testimony there would hardly be any difference amongst  
21 all of you and I have heard you essentially repeat  
22 that today so I guess it wouldn't cause you any  
23 heartburn, whichever cost of capital witness'  
24 testimony we chose. Would that be correct?

25           A.     With the exception -- of course the

(HILL - EXAM BY COMMISSIONER CASAD)

3038

1     recommendation of Drs. Olson and Legler are higher but  
2     Dr. Olson's numbers are quite old by this point in  
3     time, and if they were updated they would be in the 10  
4     percent range. Dr. Legler's numbers -- recommendation  
5     is different than his numbers. He makes quite clear  
6     in there that his recommendation, in my reading it's  
7     more of a policy statement. He believes that it's  
8     not proper to go all the way to the cost of capital  
9     because I think he feels like the cost of capital may  
10    change in the future, may go back up, but that's not  
11    what I see my role as in this proceeding. I see my  
12    role as a reporter of sorts reporting to you, the  
13    Commission, what the costs of the company's money is.  
14    This is the profit level they should be allowed to  
15    earn. This is what the market is telling us they  
16    require, and all of us, all the analysts are coming up  
17    with something in the neighborhood of 10 to 10-and-a-  
18    half percent, and if your recommendation is in that  
19    range, no one will have any problem with that, but  
20    that's our recommendation to you and the Commission  
21    can take that, and if you have other policy  
22    considerations or whatever your other considerations  
23    are, you certainly will do what you will with that,  
24    but I think the reporters in this proceeding on the

25 issue of cost of capital when you look at their

(HILL - EXAM BY COMMISSIONER CASAD)

3039

1 results are all in the same ballpark. We're all in  
2 the 10 to 10-and-a-half ballpark.

3 Q. I think you indicated, did you not, that  
4 cost of capital analysis is -- there's a bit of art  
5 interspersed with the science?

6 A. Someone would say a lot more art than  
7 science. I wouldn't say that but some would.

8 Q. I think you said cost of capital analysis  
9 is just not that reliable?

10 A. It's not reliable when you're talking about  
11 1.07 and talking about a particular allowed of rate of  
12 return. I have -- I give it about 25 basis points one  
13 way or the another is my version of how accurate it is.

14 Q. Also I might have been confused but I  
15 wanted to clarify, I thought you indicated that  
16 Dr. Lurito had depended inordinately on market pricing  
17 in his analysis. And did you really mean Dr. Olson or  
18 did you mean Dr. Lurito? That was in response to  
19 question --

20 A. I am not sure what you mean by market  
21 pricing. I said that Dr. Olson's market prices were  
22 out-of-date and therefore his dividend yield was  
23 probably too high to be representative. The concern I  
24 had with Dr. Lurito's testimony was that he thought

25 there was a hard and fast mathematical relationship

(HILL - EXAM BY COMMISSIONER CASAD)

3040

1 between allowed return and cost of capital. I think  
2 there is definitely a tendency for that correlation to  
3 exist, but as far as breaking it down to the second  
4 decimal place, I don't think that's possible and I am  
5 not sure if that's what you're talking about.

6 Q. Not exactly. I suspected that there was an  
7 intermixing of names and Dr. Lurito was being used  
8 instead of Dr. Olson and I just wanted to clarify in  
9 fact that it was Dr. Olson because I hadn't recalled  
10 anybody stressing that about Dr. Lurito's testimony?

11 A. Right.

12 Q. Thank you.

13 JUDGE HAENLE: Commissioner?

14 COMMISSIONER HEMSTAD: I don't have any  
15 questions.

16 MR. TROTTER: If I could just ask a  
17 clarifying question for Commissioner Casad. Market  
18 price growth rate issue was a Dr. Olson issue on page  
19 40 of your testimony that you were asked questions  
20 from Richardson?

21 THE WITNESS: Yes. That's probably what  
22 you were referring to.

23 COMMISSIONER CASAD: Yes.

24 THE WITNESS: I understand now. I was

25 asked about his reliance for the growth factor and the

(HILL - EXAM BY COMMISSIONER CASAD)

3041

1 DCF. He relied on the growth in market price and my  
2 comment was that it's rarely done because it's not a  
3 very reliable situation especially in Puget's case  
4 over that period the market-to-book ratio has changed  
5 so drastically.

6 COMMISSIONER CASAD: I got your answer. I  
7 just didn't know whom to attribute it to.

8 MR. RICHARDSON: You're attributing it to  
9 Dr. Olson?

10 THE WITNESS: Right.

11 JUDGE HAENLE: Any redirect, Mr. Adams?

12 MR. ADAMS: Yes.

13

14 REDIRECT EXAMINATION

15 BY MR. ADAMS:

16 Q. Mr. Hill, just following up on this last  
17 point about the change from 1982 to 1992, I gather,  
18 between the relationship of market price to book, is a  
19 good piece of that change correlated with the  
20 substantial change in interest rates over that same  
21 period of time? And your Exhibit 797, the schedule 1  
22 rather dramatically shows what's occurred since 1988?

23 A. Right. Well, schedule 1 page 1 of 2 shows  
24 what's occurred since 1984, and page 2 of 2 of schedule

25 1 shows what's happened to utility debt costs since

(HILL - REDIRECT BY ADAMS)

3042

1 1988, and very clearly the direction of capital costs  
2 is downward. There's no question about that. The  
3 change in Puget's market-to-book ratio that we're  
4 discussing on page 41 of my testimony where it moved  
5 from .82 or below one in 1982 to 1.5 today or  
6 thereabouts, 1992 is attributable certainly in part to  
7 the drop of capital costs over that period of time.  
8 It's also attributable to Puget's general improvement,  
9 their financial position, their construction problems  
10 they had in the early 1980's and those were resolved.  
11 So it's a combination of those two things, but  
12 underlying -- if you look at the entire electric  
13 utility industry you will see a similar kind of change  
14 in market-to-book ratio from below one in the early  
15 80's to 1.4, 1.6 in the early 90's, and that is  
16 attributable to primarily the lower -- the fall in  
17 capital costs over that period of time.

18 Q. I might gather that's why not only for  
19 Puget but for the industry in general you're saying  
20 you can use that as the indication of similar growth  
21 in the future?

22 A. Right, unless you expect utility debt to be  
23 free, you know, within ten years. I mean, essentially  
24 you're talking about that magnitude of a change of the

25 you're talking about 5- or 600 basis point drops since

(HILL - REDIRECT BY ADAMS)

3043

1 1984 and 5- or 600 basis points more drop would be a  
2 utility debt cost of 2 percent. If that's your  
3 expectation then you might use stock price growth but I  
4 don't think that's anybody's expectation.

5 Q. You referred to, I think, Dr. Legler's  
6 analysis and then sort of his conclusion which was not  
7 the same as at least what the DCF and some of those  
8 other methods showed. I think he used a term of  
9 trying to protect shareholder shock due to these  
10 drops. Do you believe that that's appropriate to take  
11 into consideration?

12 A. No. I think once again our function here  
13 is not a policy function but sort of a reporting  
14 function. And I think clearly Dr. Legler has made a  
15 policy decision to recommend a return on equity which  
16 is much higher than his numbers will support. I think  
17 it also important to remember that this ratepayer  
18 shock that apparently he wants to attempt to alleviate  
19 by awarding a too high cost on return on equity  
20 capital is just one side of the scale of utility  
21 earnings. Utility market prices are significantly  
22 above book value now because they are over earning  
23 their cost of capital. In other words, the other side  
24 of the scale that the ratepayers have been suffering

25 the shock of their own over the past, since the mid

(HILL - REDIRECT BY ADAMS)

3044

1 1980's by paying out too much in rates for utility  
2 profits. The portion of the rates they pay that go to  
3 equity returns have been too high for a number of  
4 years, and so it wouldn't really be ratepayer shock if  
5 market prices would tend toward book value, it would  
6 simply be a balancing of the regulatory equation.

7 Q. I think you may have misspoke. I think you  
8 meant shareholder shock?

9 A. Yes. It wouldn't be shareholder shock, it  
10 would simply be a balancing of the regulatory equation.

11 Q. You indicated earlier you had some discussion  
12 with Mr. Marshall concerning companies with fuel  
13 adjustment clauses and also the issue of the PRAM. I  
14 wanted to find out, in your opinion are the two  
15 synonymous in terms of the risk implications?

16 A. No, they're not. Only with regard to the  
17 actual protection of volatility in fuel prices are  
18 dissimilar. The PRAM also includes purchased power  
19 and it also -- and it causes a reduction in volatility  
20 of revenue and earnings due to weather and economic  
21 conditions. And so it's a much more broad-based wide  
22 ranging risk reducing regulatory construct than is a  
23 fuel clause.

24 Q. Two spots in your testimony that I recall.

25 Page 7 and then 48. You quote from Merrill Lynch and

(HILL - REDIRECT BY ADAMS)

3045

1 on page 7 there was a reference that Mr. Trotter asked  
2 about where they're projecting a 9.1 percent return  
3 for investors. Do you see that?

4 A. Yes.

5 Q. And then later on you quote again. Now,  
6 these quotes from Merrill Lynch come from what I will  
7 call the stock side of the house?

8 A. The equity side.

9 Q. It's not the debt side?

10 A. Right.

11 Q. You had a brief discussion with Mr. Trotter  
12 concerning flotation pressure and Dr. Lurito used a  
13 1.07 percent factor. Again, you were not here but he  
14 indicated on my questioning that that calculated out  
15 to approximately \$7 million a year, that is the .07  
16 factor. Do you believe that that is a reasonable  
17 number for Puget?

18 A. No, I don't believe it's a reasonable  
19 number for several reasons. I've laid out in my  
20 testimony pages 37 through 38, and I won't reiterate  
21 all of those right now but I think if we just -- if we  
22 agree that there was a need for flotation costs, which  
23 I don't think there is because market prices are so  
24 far above book value, if market prices were closer

25 to book value then I would be inclined to say that

(HILL - REDIRECT BY ADAMS)

3046

1 there would be a need for flotation adjustment, but  
2 first of all it wouldn't be on all of the equity  
3 capital. It would be on the new capital that's raised.  
4 Dr. Legler's judgment is for the whole equity base and  
5 that's not logical because all the equity wasn't raised  
6 in the market place. Some of it is retained earnings  
7 and there's no flotation costs involved with retained  
8 earnings. When stock is issued when the market price  
9 is 50 percent above book value then there is an overall  
10 increase in the book value of the stock and all of the  
11 investors of the company are made essentially wealthier  
12 essentially by the issuance of stock and so there's  
13 no need to compensate them for some sort of  
14 hypothetical dilution that just doesn't occur. I feel  
15 very strong it's not a proper adjustment and \$7  
16 million, which is what he's talking about, is a lot of  
17 money for ratepayers to invest to make stockholders  
18 whole for something for which they don't need to be  
19 made whole.

20 Q. It is your understanding that that would  
21 remain in effect until the next rate of return  
22 adjustment so the \$7 million would continue on for at  
23 least perhaps the next three years?

24 A. Right, included in rates would be \$7

25 million every year that those rates are in effect

(HILL - REDIRECT BY ADAMS)

3047

1 until the rates are changed, and if you believe that a  
2 flotation cost is necessary and if the flotation costs  
3 were 5 percent, whatever 7 divided by .05 is, the  
4 company would have to issue \$140 million of equity  
5 every year that rates -- these rates are in effect in  
6 order to actually incur flotation costs of that  
7 magnitude.

8 Q. At the beginning of this response you  
9 referred to Dr. Legler. I think you were referring to  
10 Dr. Lurito, weren't you?

11 A. Sorry, Dr. Lurito.

12 Q. It's Monday.

13 A. There's a lot of rate of return witnesses  
14 in this case.

15 Q. One last issue in reference to volatility  
16 of earnings I had asked Dr. Lurito what the impact  
17 in '92 earnings would have been without the PRAM  
18 mechanism and he calculated that without PRAM the  
19 company would have earned approximately 1.66 a share  
20 which was below even the dividend payout. Would you  
21 concur in that or do you have any different numbers  
22 that you would believe would be the impact if PRAM did  
23 not exist?

24 A. The company in the notes to the financial

25 statements in its annual report -- have to sort of dig

(HILL - REDIRECT BY ADAMS)

3048

1 back in there, it's in there -- they note that the \$43  
2 million of their earnings in 1992 was due to the PRAM  
3 adjustment. And so I assume he took that out and  
4 calculated the per share earnings based on that, and if  
5 that's what he did then I would agree with that  
6 figure.

7 Q. So this is sort of part of the volatility  
8 that the PRAM evens out for investors?

9 A. Right. The company discusses that in a  
10 general sort of a way in its annual report.

11 JUDGE HAENLE: Any recross, Mr. Marshall?

12 MR. MARSHALL: One brief area.

13

14 RE CROSS-EXAMINATION

15 BY MR. MARSHALL:

16 Q. You mentioned that there was a purchased  
17 power adjustment to common equity ratio presented in  
18 the California case last summer that you were involved  
19 in?

20 A. There was a request by several of the  
21 utilities that their equity ratios be increased  
22 because of their purchased power requirements.

23 Q. And those California companies included  
24 Pacific Gas and Electric, San Diego Gas and Electric

25 and Southern California Edison?

(HILL - RECROSS BY MARSHALL)

3049

1 A. And Pacific Gas and Electric, did you say  
2 that?

3 Q. I may not have, but you testified in that  
4 on what you believe the common equity ratios ought to  
5 be for those three companies?

6 A. No. I testified only on cost of capital  
7 issues.

8 Q. Do you know what the common equity ratios  
9 are for those three?

10 A. No. Generally that those companies  
11 generally -- one of them is AA-rated and the others  
12 are A-plus rated and I would expect that the common  
13 equity ratios are probably in the mid 40 range if you  
14 include short-term debt.

15 Q. Above 45 percent?

16 A. I would guess that's the case but I am not  
17 certain.

18 Q. Of the companies that were asking to have  
19 a purchased power adjustment to common equity ratio of  
20 the 45 percent or so, what percentage of their power  
21 purchases were purchased power?

22 A. I don't recall exactly. I think the  
23 heaviest reliance on purchased power was, I believe, San  
24 Diego Gas and Electric, but I don't recall what that

25 number was.

(HILL - RECROSS BY MARSHALL)

3050

1 Q. And what was the rate of return on equity  
2 that was allowed at the end of that proceeding for  
3 those three utilities? I believe that came out in  
4 November or December of 1992.

5 A. Yes, it was based on data from early 1992  
6 and the allowance was 11.7 to 11.8 and the California  
7 Commission in its order recognized that the cost of  
8 capital was lower than their allowance and made the  
9 decision to allow something higher. But they did  
10 recognize that the cost of capital was lower.

11 MR. MARSHALL: Nothing further.

12 JUDGE HAENLE: Anything more of the  
13 witness?

14 MR. TROTTER: Just one. None of those  
15 California utilities are in your list of comparables or  
16 Dr. Olson's list of comparables?

17 THE WITNESS: No, they're not. And the  
18 cost of capital has fallen quite a bit since that  
19 case.

20 COMMISSIONER CASAD: One quick question.  
21 Regarding stock pricing and market-to-book ratio, how  
22 much of that fluctuation or that increase would you  
23 attribute to the fact that because of declining  
24 interest rates and the relative stability of utility

25 stocks and relatively stable regulation, how much do

(HILL - RE CROSS BY MARSHALL)

3051

1 you believe that has contributed to pricing, market  
2 pricing of stock?

3 THE WITNESS: I think a great deal. I  
4 think that the drop in capital costs is a primary  
5 contributor to the level of market price in  
6 relationship to book value. I think that allowed rates  
7 of return have fallen over the past three or four years  
8 but they have fallen slowly. Utilities have been  
9 reluctant to come in for rate cases and costs of  
10 capital -- allowed returns have not come down as  
11 quickly as capital costs have come down.

12 COMMISSIONER CASAD: Thank you.

13 MR. ADAMS: Just a followup on the  
14 California experience. Was Mr. Abrams also a witness  
15 in that proceeding?

16 A. Yes, he was and the California Commission  
17 did not consider him an impartial witness. They  
18 considered him a witness on behalf of the companies.

19 MR. ADAMS: Was this on the issue of  
20 imputation of -- imputation of debt for purchased  
21 power?

22 THE WITNESS: Yes, that was the issue.  
23 Same testimony he gave here.

24 MR. ADAMS: And the Commission did not adopt

25 that testimony?

(HILL - RE-CROSS BY MARSHALL)

3052

1 THE WITNESS: Correct.

2 JUDGE HAENLE: Anything more of the  
3 witness?

4 MR. MARSHALL: No, your Honor.

5 JUDGE HAENLE: Thank you, sir, you may step  
6 down. I believe that's everyone that we had here  
7 today. We've estimated that the open meeting on  
8 Wednesday will be done at 10:30. It may not be done by  
9 then but please be here and ready to go at 10:30. I  
10 will call Mr. Paine and Mr. Meyer and let them know.  
11 We'll begin as soon on Wednesday as we can after the  
12 open meeting. Be in recess until then.

13 (Hearing adjourned at 4:20 p.m.)

14

15

16

17

18

19

20

21

22

23

24

