

1 BEFORE THE WASHINGTON UTILITIES AND TRANSPORTATION
2 COMMISSION

2 -----

3	In the Matter of the Application of)
4	THE WASHINGTON WATER POWER COMPANY) Docket No. UE-941053
5	a Washington corporation; SIERRA) Docket No. UE-941054
6	PACIFIC POWER COMPANY, SIERRA)
7	PACIFIC RESOURCES, and RESOURCES) VOLUME 3
8	WEST ENERGY CORPORATION, Nevada)
9	corporations, to Merge into) PAGES 263 - 389
10	RESOURCES WEST ENERGY CORPORATION;)
11	and Authorizing Issuance of)
12	Securities, Assumption of)
13	Obligations, and Adoption of)
14	Tariffs.)
15)

15 -----

10

11 A hearing was held in the above matter on

12 February 8, 1995, at 1:30 p.m. at 1300 South Evergreen

13 Park Drive Southwest before Chairman SHARON L. NELSON,

14 Commissioners RICHARD HEMSTAD and WILLIAM R. GILLIS

15 and Administrative Law Judge ELMER CANFIELD.

16

17 The parties were present as follows:

18 THE WASHINGTON UTILITIES AND TRANSPORTATION

19 COMMISSION STAFF, by SALLY G. JOHNSTON, Assistant

20 Attorney General, 1400 South Evergreen Park Drive

Southwest, Olympia, Washington 98504.

21 WASHINGTON WATER POWER COMPANY, by DAVID

22 MEYER, Attorney at Law, 1200 Washington Trust

Building, Spokane, Washington 99203.

23

24 Cheryl Macdonald, CSR

25 Court Reporter

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES (Cont.)

SIERRA PACIFIC RESOURCES, SIERRA PACIFIC
POWER COMPANY, by DAVID M. NORRIS, Attorney at Law,
6100 Neil Road, PO Box 10100, Reno, Nevada, 89520.

FOR THE PUBLIC, DONALD T. TROTTER,
Assistant Attorney General, 900 Fourth Avenue, Suite
2000, Seattle, Washington 98164.

00265

1 I N D E X

2 WITNESSES: D C RD RC EXAM
3 ELIASSEN 267 310 311
4 BRYAN 317 325 386 369

5 EXHIBITS: MARKED ADMITTED
6 T-27, 28 - 31 321
62 271 271
7 63 280 285
64 292 292
8 65 295 295
66 315 321
9 67 325 325
68 - 77 331 332
10 78 - 79 335 335
80 346 347
11 81 346 348
82 353 353
12 83 363 369

13 RECORD REQUISITIONS:
11 271
12 274
14 13 276
14 14 313
15 15 355
16 16 360

16

17

18

19

20

21

22

23

24

25

00266

1 PROCEEDINGS

2 JUDGE CANFIELD: This hearing will please
3 come to order. This is a continuation of the hearing
4 in the Water Power merger application, docket Nos.
5 UE-941053 and UE-941054. Today's date is February
6 8, 1995. We're continuing where we left off yesterday
7 in the matter. We certainly don't need to take full
8 appearances but there are some parties not here at
9 this session that were here yesterday, so maybe just
10 take brief appearances for the record, please.
11 Beginning with the applicant.

12 MR. MEYER: On behalf of applicant, David
13 Meyer and David Norris.

14 JUDGE CANFIELD: Thank you.

15 MR. TROTTER: Donald T. Trotter for public
16 counsel section.

17 MS. JOHNSTON: Sally G. Johnston, assistant
18 attorney general representing Commission staff.

19 JUDGE CANFIELD: Thank you. Several
20 indicated they would not be back for the remainder of
21 the session, and some will be here for tomorrow's
22 session, so that will be made known in due course.
23 Before we get back to where we left off yesterday, are
24 there any preliminary matters to address at the
25 outset?

00267

1 Hearing none, let's resume and Ms. Johnston
2 was directing questions on cross to Mr. Eliassen and
3 Mr. Eliassen is still under oath.

4 MS. JOHNSTON: Thank you.

5

6 CROSS-EXAMINATION

7 BY MS. JOHNSTON:

8 Q. Good afternoon, Mr. Eliassen.

9 A. Good afternoon.

10 Q. Yesterday when we left off we were
11 discussing the company's response to deposition
12 request No. 11. Do you recall that?

13 A. Yes.

14 Q. That has now since been marked as Exhibit
15 61 for the record. There was a bit of confusion over
16 reduction in capital expenditures in the years 1997
17 and 1998 since the tariff rider was only approved as a
18 two-year experiment. Were you able to reconcile the
19 question?

20 A. Yes. I think I need to explain the numbers
21 in 1995 through 1998. As we spoke about yesterday,
22 the reductions in capital expenditures between my
23 original Exhibit 19 and deposition request 11 are that
24 we remove the Washington electric and gas assumptions
25 from our original budget, the amounts that we had

00268

1 assumed in the demand side management budget as of
2 last year. Those amounts were \$5 million in 1995, \$2
3 million in 1996, and \$2 million in each of 1997 and
4 1998. Total of that was an \$11 million change in the
5 capital budget. The assumption that we made here is
6 that while the tariff rider for demand side management
7 is just two years, we assumed that it would be
8 continued throughout the four or five-year period.
9 That was the assumption we made when we made the
10 adjustments to these capital numbers. But I think
11 what's important here, too, that the tariff rider will
12 raise approximately \$3 and a half million in the first
13 year or some \$14 million over the four year period if
14 it's in effect for those four years, so in actuality
15 while the numbers may not match year to year, we would
16 expect the tariff rider would generate something in
17 excess of \$14 million to be expended on demand side
18 management in Washington only for Washington electric
19 and gas through this four-year period, which is
20 actually a \$3 million increase over what we had
21 budgeted last summer.

22 Q. So is it a correct interpretation then
23 that the company was budgeting \$5 million for its
24 Washington DSM programs for 1995?

25 A. Yes.

00269

1 Q. So if the DSM tariff rider is approved in
2 Idaho, then the capital expenditures of Water Power on
3 a stand-alone basis will be further reduced; is
4 that correct?

5 A. I believe that the impact of Idaho would be
6 something less than a million dollars but it might
7 round to a million in each of the years.

8 Q. So that's yes?

9 A. Yes.

10 Q. And if the rider were extended past the two
11 year experimental time frame, as apparently you
12 assumed it would be, then capital expenditures would
13 be decreased in future years as well. Isn't that also
14 true?

15 A. That's inherent, though, in the response to
16 deposition request 11. We did reduce those capital
17 expenditures for Washington in the 1997-1998 period.

18 Q. At the bottom of Exhibit 61, it notes,
19 "internal generation did not change from the original
20 exhibit because rider revenue increases are offset by
21 DSM expenses. Only the capital expenditures change."
22 Is that a correct reading?

23 A. That's correct. There may be timing
24 differences between years but it's our expectation to
25 spend on demand side management all the monies that we

00270

1 collect in each year from the tariff rider.

2 Q. And in this statement, which I just read to
3 you, reflects the company's intention to spend the
4 revenues that it collects from the DSM rider on DSM
5 programs, that is, trying to match the tariff
6 provisions with DSM expenditures as closely as
7 possible over the two-year period; is that correct?

8 A. Yes, that's correct.

9 Q. As part of the agreement to go forward with
10 the tariff rider experiment, the company agreed to
11 increase amortization of its DSM asset from 20 years
12 to 14 years. Are you aware of that agreement?

13 A. Yes, I am.

14 Q. Wouldn't an increase in amortization of the
15 DSM asset affect the company's internal generation of
16 cash?

17 A. Well, I'm not sure -- I'm not sure -- the
18 amortization is a book amortization that you're
19 speaking of. I'm not sure that would directly impact
20 cash. I don't know the tax treatment. I don't know
21 that that changed.

22 Q. Could you please provide that information
23 as record requisition No. 11.

24 A. Basically that is if there is any change in
25 internal cash generation from the more rapid

00271

1 amortization of demand side management expenditures?

2 Q. Yes.

3 A. Yes.

4 JUDGE CANFIELD: That is the next record
5 requisition No. in order, No. 11.

6 (Record Requisition 11.)

7 MS. JOHNSTON: Your Honor, like to have
8 this marked as Exhibit 62 for identification, please.

9 JUDGE CANFIELD: For the record, Ms.
10 Johnston just distributed a multi-page document which
11 will be marked as Exhibit 62 for identification.

12 (Marked Exhibit 62.)

13 Q. Mr. Eliassen, do you recognize what's been
14 marked as Exhibit 62 for identification as your
15 response to public counsel data request No. 333?

16 A. Yes, I do.

17 MS. JOHNSTON: Move the admission of
18 Exhibit 62.

19 JUDGE CANFIELD: Any objections?

20 MR. MEYER: No objection.

21 JUDGE CANFIELD: Exhibit 62 is so entered
22 into the record.

23 (Admitted Exhibit 62.)

24 Q. Please turn to the final page of this
25 response. At the very last line of the 1995 capital

00272

1 budget it indicates that \$7.1 million had been
2 budgeted for 1995. Do you see that?

3 A. Yes, I do.

4 Q. Would it be correct to assume that the \$2.1
5 million balance is for DSM activities in Idaho?

6 A. Idaho and/or Oregon. It's jurisdictions
7 other than Washington and the -- and the difference
8 would be jurisdictions other than Washington.

9 Q. Please turn now to the first page of the
10 response. There you indicate that the list of
11 projects for 1996 through 1998 are not yet finalized
12 but will be provided as as soon as they are available.
13 Is that accurate?

14 A. Yes. That's what the response states.

15 Q. Do you have any idea when they will be
16 available?

17 A. I don't in this detail. We can -- well, we
18 can still provide the data but I don't know the timing
19 of being able to provide it. You might want to ask,
20 if you want to follow up with this, that particular
21 question with Mr. Pierce when he's on the stand later,
22 he might be able to give you a definitive time.

23 Q. Thank you. As record requisition No. 12,
24 could you please provide the preliminary lists of
25 projects which were used to develop these estimates?

00273

1 A. Wait a minute. When you say "these
2 estimates" --

3 Q. As contained in Exhibit --

4 MR. MEYER: All of the projects contained
5 in here or were there certain ones you were more
6 interested in?

7 MS. JOHNSTON: Exhibit 19. The preliminary
8 list of projects for the years 1996 through 1998.

9 MR. MEYER: That are reflected in Exhibit
10 19? I'm sorry, what? That are reflected in Exhibit
11 19?

12 MS. JOHNSTON: Yes.

13 A. It's possible that -- I don't know that
14 you're going to get the same level of detail for the
15 years '96 -- well '97 and '98 certainly. So I'm not
16 sure what level of detail we should expect on this.

17 Q. That's fine. The response indicates the
18 list of the projects for those years are not yet
19 finalized so we're interested in the preliminary
20 drafts as well as the final drafts, whether in fact
21 they are finalized.?

22 A. Okay. Understand.

23 Q. Thank you.

24 JUDGE CANFIELD: That's record requisition
25 No. 12.

00274

1 (Record Requisition 12.)

2 Q. Please turn back to your response to
3 deposition request 11.

4 JUDGE CANFIELD: That's Exhibit 61?

5 MR. JOHNSTON: No. The initial one rather
6 than the revised.

7 MR. MEYER: I'm sorry, I'm lost. The
8 reference, Sally, is to Exhibit 61, deposition No. 11,
9 request No. 11?

10 MS. JOHNSTON: No. This one indicates that
11 it was revised and I'm interested in the original
12 version.

13 MR. MEYER: That is not yet marked as an
14 exhibit in this case.

15 MS. JOHNSTON: Correct.

16 MR. MEYER: Okay. Do you have that?

17 THE WITNESS: I don't know.

18 MR. MEYER: If we could have just a minute
19 to give that to the witness.

20 Q. Do you have that before you now?

21 A. No. I've seen it. I don't have a copy of
22 it.

23 Q. Well, could you accept subject to check
24 that in this response you note that the revision does
25 not include other changes which have occurred since

00275

1 July of 1994. Do you recall that?

2 A. That's in the footnote?

3 MS. JOHNSTON: May I approach the witness?

4 JUDGE CANFIELD: Well, it wouldn't help the
5 witness since he doesn't have a copy and apparently
6 does not recall, so go ahead.

7 MR. MEYER: For the record, I think the
8 reference to the original is actually the reference
9 back to Exhibit 19.

10 MR. TROTTER: Do you want my copy?

11 MS. JOHNSTON: It's right here
12 (indicating).

13 THE WITNESS: There was an interim
14 response. It has errors in it. That's why we revised
15 it on February 1.

16 MS. JOHNSTON: That's why I'm asking you
17 questions about it, sir.

18 JUDGE CANFIELD: For the record, Mr.
19 Eliassen now has a copy in front of him.

20 Q. Now, in this response you note that the
21 revision does not include other changes which have
22 occurred since July of 1994. Do you see that?

23 A. Yes.

24 Q. To what other changes are you referring?

25 A. Well, for one thing it doesn't include any

00276

1 update on actual expenditures for 1994. Our actual
2 capital expenditures for 1994 were just short of 128
3 plus another \$33 million for the Sandpoint properties
4 in north Idaho, so we really spent \$160 million that's
5 not updated on this.

6 Q. Are there any other changes not accounted for?

7 A. Well, yes. Every line item in the budget
8 would have changed. All the blankets for electric
9 hookups, gas hookups. We have final numbers now for
10 year ending '94. None of those adjustments were made
11 to this. This is, as far as I can tell, the original
12 estimate or the budget at a point in time in
13 midsummer, so to the extent that 1994 changed none of
14 that has been updated here.

15 MS. JOHNSTON: As the next record requisition
16 in line, 13, would you please provide an updated
17 Exhibit 19 including all of the changes which have
18 occurred since July '94 along with all supporting work
19 papers used to derive the projections much in the same
20 way you prepared a response to public counsel data
21 request 333.

22 (Record Requisition 13.)

23 A. We can. I'm wondering if we're going to be
24 duplicating some work here if we redo the projections
25 here. We had also spoken with you before about the

00277

1 fact that we would be providing a five-year forecast
2 somewhere toward the end of the first quarter of this
3 year. That five-year forecast would have the same
4 updated capital expenditure numbers for 1995 through
5 1998. Do we want to do it twice? I don't have a
6 problem with it. It's just that we need to make sure
7 that we're going to be doing this two different ways.

8 Q. Well, we would like to have it in the
9 format, the format used in the preparation of your
10 response for Exhibit 62, and please add a category,
11 which is the combined company's capital expenditures
12 and internal generation assuming improvements which
13 are expected from the merger along with supporting
14 documentation.

15 A. I would almost have to ask you to or at
16 least have to ask Mr. Pierce if that's going to be
17 readily available. I don't know personally what kind
18 of work that's going to take to generate that. I
19 would like to have some assurance that we can do that
20 reasonably.

21 MR. MEYER: May we be off the record?

22 JUDGE CANFIELD: That can be pursued
23 obviously off the record as well. The request has
24 been made and obviously there's going to be an attempt
25 and if there has to be some adjustment, so be it.

00278

1 That can be accomplished off the record.

2 Q. In general when internal cash generation
3 exceeds capital expenditures as it does for Water
4 Power in 1997 and 1998 in Exhibit 19, the excess flows
5 through to retained earnings of the company. Is that
6 true?

7 A. Well, during the same period of time, and
8 if we look at your revised Exhibit -- well, your
9 Exhibit 61, during this same period of time we have
10 \$148 million of securities that need to be refunded.
11 That's over and above the financing requirement for
12 capital, so \$8 million of that was in 1994; \$140
13 million is 1995, '96, '97 and '98. So to the extent
14 that looks like we generate something in the order of
15 \$18 million of free cash after capital expenditures
16 through this forecast period, we still have \$140
17 million of securities that have to be refunded. Part
18 of that is sinking funds on preferred stock, part of
19 it is maturing debt. So we either will use the cash
20 to pay off some of that or we'll -- and we'll still
21 have to be in the capital markets -- or we'll use the
22 cash for some other corporate purpose. So there
23 really isn't any free cash here if you take into
24 account the refundings that are required during part
25 of this period as well.

00279

1 Q. But under the merged company any excess is
2 flowing through to fund Sierra's capital expenditures.
3 Is that true?

4 A. Well, under the merged company we're going
5 I guess to that extent financing RWE would be a
6 comingled process. We're going to be issuing bonds or
7 common equity in the name of RWE or preferred stock in
8 the name of RWE so we will be financing the entire
9 entity at that point. But --

10 Q. So is the answer to my question no?

11 A. But -- well, no. I'm saying yes, but we
12 still have to refund -- both companies have some
13 maturities during this period of time. Water Power
14 has more maturing securities that have to be refunded
15 during this period of time than Sierra Pacific Power.

16 Q. Please turn to page 6 of your testimony.
17 Beginning on line 36, page 6 and continuing on to page
18 7, you state that the merger will result in "an
19 improvement in the ratio of cash coverage of capital
20 expenditures. The post merger utility operations are
21 expected to generate internal funds to cover about 75
22 to 90 percent of ongoing construction requirements."
23 Is that correct?

24 A. Yes.

25 Q. Why do you believe that 75 to 90 percent

00280

1 internal generation is an improvement over the 100
2 percent that Water Power will achieve on a stand-alone
3 basis?

4 A. In an absolute sense that's not an
5 improvement, but what we're looking at here are the
6 total of two companies together as RWE and it is an
7 improvement over what just adding the companies
8 together at this point in time would be. We still --
9 we only generated about 35 to 40 percent of the
10 necessary cash internally in 1994 that were required
11 for the capital expenditure program that was just
12 incurred and we funded the rest of that in external
13 sources. So I think going 75 to -- going to the
14 combined company's RWE, 75 to 90 percent internal cash
15 generation is a substantial improvement.

16 Q. Please turn to Exhibit 20. The second
17 column is entitled S and P benchmarks for A rating.
18 Do you see that?

19 A. Yes.

20 MS. JOHNSTON: Your Honor, like to have
21 this marked as Exhibit 63.

22 JUDGE CANFIELD: Exhibit 63 is next in
23 order and that will be marked Exhibit 63.

24 (Marked Exhibit 63.)

25 Q. Mr. Eliassen, this document dated July 4,

00281

1 1994 was included in your work papers and details a
2 new system developed by S and P to evaluate the
3 business positions of electric utilities. Would you
4 agree?

5 A. Yes.

6 Q. And under this new system the benchmark
7 financial ratios are related to S and P's assessment
8 of a company's business position. Is that true?

9 A. It relates to both business and financial
10 risk, I believe, yes.

11 Q. And all else being equal an A rated company
12 with an above average business position could have
13 weaker financial ratios than an A rated company with
14 an average business position. Isn't that correct?

15 A. There are some -- there is a difference
16 between the two, yes.

17 Q. Please refer to box 2 on the third page of
18 this document. This sets out different financial
19 benchmarks than what are listed in your Exhibit 20.
20 Isn't that correct?

21 A. Yes, it does.

22 Q. For these benchmarks Water Power would be
23 considered an above average business position,
24 correct?

25 A. That's correct, and I think in this

00282

1 document they show Water Power as an above average
2 utility, with a number of about ten other utilities.

3 Q. And Sierra Pacific Resources would be
4 considered an average business position; isn't that
5 correct?

6 A. That's correct.

7 Q. The benchmark for an A rated company with
8 average business position for pre-tax interest
9 coverage is 3.5 times, correct?

10 MR. MEYER: Did you say above average
11 position?

12 MS. JOHNSTON: Average.

13 A. Yes, that's correct.

14 Q. So S and P would look for pre-tax interest
15 coverages of 3.5 times or more; isn't that correct?

16 A. Right.

17 Q. Please refer now back to your Exhibit 20.
18 Under pre-tax interest coverage, Sierra Pacific would
19 not meet the 3.5 times benchmark in any year from 1992
20 all the way through 1998; isn't that correct?

21 A. That's correct.

22 Q. Now, referring again to this S and P
23 document, the benchmark for total debt to total
24 capital ratio for an average business position is 47
25 percent. Do you see that?

00283

1 A. Yes.

2 Q. Now refer again to your Exhibit 20.

3 Sierra's ratios meet that benchmark in only 1993 and
4 1994; isn't that correct?

5 A. Well, maybe I've missed something here.

6 You were on total debt? Total debt to total capital?

7 Q. Yes.

8 A. You're looking for the 47 percent?

9 Q. Yes.

10 A. And Sierra's numbers meet that in 1993 at
11 47 percent. They exceed it at 46 percent in 1994?

12 Q. Yes, that's my question. Sierra's ratio
13 meets the benchmark in only those two years?

14 A. Yes.

15 Q. Turn back now to the S and P document. The
16 benchmark for funds from interest coverage for an
17 average business position company is four times; is
18 that correct?

19 A. Yes.

20 Q. And according to your Exhibit 20, Sierra
21 only meets this benchmark in 1994; isn't that correct?

22 A. Well, again, if you're dealing with the
23 absolute number, but Sierra also comes in at 3.8, 3.9,
24 3.7. That's not appreciably different from this
25 midpoint 4.0. I'm not sure that there's magic about

00284

1 the 4.0 being exactly the right number at that point.
2 These are benchmarks, you know. It's meant to be a
3 gauge, not an absolute.

4 Q. So the answer to my question is yes, Sierra
5 meets that benchmark?

6 A. Yes, with that caveat.

7 Q. Turn again to the Standard and Poor's
8 document. The funds from operations to debt ratio
9 benchmark for an A rated average business position
10 company is 25 percent. Do you see that?

11 A. Yes.

12 Q. Exhibit 20 identifies that Sierra would not
13 meet this benchmark in any year from 1992 through
14 1998; isn't that correct?

15 A. Yes, based on these estimates, yes.

16 Q. Turning to the S and P document. Net cash
17 flow to capital expenditures for an A rated average
18 business position company is 85 percent. Do you see
19 that?

20 A. Yes.

21 Q. And according to your Exhibit 20 Sierra
22 would only meet this benchmark in 1997 and 1998; is
23 that right?

24 A. Yes. After they've completed relatively
25 heavy capital expenditure program that runs out

00285

1 through 1997.

2 MS. JOHNSTON: Your Honor, move the
3 admission of Exhibit 63.

4 JUDGE CANFIELD: Any objections?

5 MR. MEYER: None.

6 JUDGE CANFIELD: Exhibit 63 is so entered.

7 (Admitted Exhibit 63.)

8 Q. Please turn now to page 10 of your
9 testimony. Beginning at line 33 you state, "In the
10 long term the benefits of combined cash flow and the
11 reduction of duplicate operating expenses would allow
12 a reduction in the amount of additional debt to be
13 issued." Do you see that?

14 A. Yes.

15 Q. Would you please quantify for us what you
16 mean by the term long term?

17 A. I think -- well, we see improvement, I
18 think, in most of the financial ratios in the
19 forecasts that we provided in public counsel request
20 340 from the stand-alone company, and I would think
21 that beyond 1998 we could continue to see improvement
22 in those ratios as well, but RWE does show improved
23 financial ratios, the same ones that you just went
24 through with me on Sierra, in virtually every
25 category. By 1998 RWE is a stronger company than

00286

1 Water Power stand-alone and that's what I was
2 referring to.

3 Q. When you state that there will be a
4 "reduction in the amount of debt to be issued," are
5 you comparing that to Washington Water Power on a
6 stand-alone basis, that is, Resources West will issue
7 less debt than Water Power on a stand-alone basis?

8 A. Obviously not. RWE is going to be a
9 company that's twice as large so the numbers are going
10 to be bigger. Combined, though, the two companies
11 will issue less debt and will be stronger than if you
12 just proformed or just added the two companies
13 together at some point in time in the future. What
14 we're talking about here is the strength of this
15 combination, putting Sierra and Water Power together
16 to form a new company, eliminate, in the case of Water
17 Power, \$40 million of rate increases through this 1996
18 through 1998 period, and still come up with financial
19 ratios that are stronger than Water Power stand-alone,
20 assuming \$40 million in increased gas and electric
21 rates. I think that we show a much stronger position
22 as RWE than we do stand-alone.

23 Q. Are you finished?

24 A. Yes.

25 Q. Please turn to page 14 of your testimony.

00287

1 Lines 23 through 25. There you state that,
2 "Furthermore, the overhead costs of financing
3 activities will be spread over a larger number of
4 customers, thus reducing the costs to each." Do you
5 see that?

6 A. Yes.

7 Q. Exhibit 19 indicates that all of the
8 external financing needs in 1996 through 1998 are
9 generated by the Sierra Pacific division yet you are
10 proposing that the costs of financing activities be
11 spread over all the customers of Resources West.
12 Could you please explain your rationale for Washington
13 customers sharing the cost of financing Sierra's
14 construction program?

15 A. Well, I think you misconstrue what Exhibit
16 19 shows, to start with. Exhibit 19 shows the amount
17 of internal cash for construction. It doesn't show
18 the 148 million dollars of additional financing that
19 Water Power stand-alone needs to do to refund maturing
20 mortgage bonds, medium-term notes and preferred stock
21 through this same period of time, so Water Power does
22 have substantial need for external cash. Even normal
23 operations require us to continue to have access to
24 either commercial paper or short-term debt market each
25 year. Even though we may be ultimately generating

00288

1 everything for construction by the end of the year,
2 there are differences in terms of cash flow month by
3 month as you go through the year. So Water Power
4 continues to have capital access requirements through
5 this entire period, so I don't think it's correct to
6 characterize it that all of the financing that's going
7 to be done is just because of Sierra's capital or
8 construction program.

9 Q. Well, will Washington customers share in
10 the financing costs attributable to Sierra's
11 construction program?

12 A. If the financing costs are less on a per
13 customer basis or on a total company basis than they
14 otherwise would be, I think the Water Power's
15 Washington gas and electric customers will share in
16 those benefits. If you spread the cost of a line of
17 credit over 850 or 900,000 customers in effect rather
18 than 450,000, obviously there's going to be some
19 benefit that comes through to Washington. I can't
20 quantify that for you, but it's there.

21 Q. Please turn to page 18 of your testimony,
22 lines 6 through 8. There you state, and I quote,
23 "Resources West may also enjoy improved access to the
24 commercial paper market as a result of the increased
25 size and diversity of the business and financial

00289

1 risk." Is that an accurate reading?

2 A. Yes, it is.

3 Q. Over the past five years has Water Power's
4 access to the commercial paper market been limited?

5 A. We've always had access to the commercial
6 paper market up until the end of 1994 when we
7 eliminated our commercial paper program. The reason
8 we haven't used commercial paper for the last 18
9 months to two years is that it was not cost effective.
10 Our commercial paper rating was an A2 P2 driven in
11 part by the size of the company and driven in part by
12 the size of the company's cash requirements, so we
13 found that it was more cost effective at least through
14 that period of time, and I believe through this coming
15 year, to just utilize bank lines of credit. It's
16 lower cost. I think larger companies, though,
17 sometimes tend to -- either they have more need for
18 commercial paper, which makes the name more saleable,
19 they're in the market more often, and there's also a
20 possibility depending on the credit strength of RWE
21 that we might actually get a higher commercial paper
22 credit rating sometime in the future which would then
23 again reduce the costs of commercial paper to the
24 company.

25 Q. Mr. Eliassen, in the past you have

00290

1 testified before this Commission regarding cost of
2 capital and the DCF model. Is that true?

3 A. Yes. I've testified on cost of capital
4 many years ago.

5 Q. And in choosing your group of comparable
6 utilities at that time, would you include any utility
7 which has cut its dividend in the preceding five
8 years?

9 A. Well, we probably didn't in developing the
10 comparables at that time. It's getting harder to find
11 a utility that hasn't cut its dividend, though, since
12 about 40 percent of the industry has cut dividends
13 sometime in the last 10 or 12 years. I don't even
14 recall right now offhand what the comparables were
15 that we used.

16 Q. But you do recall, at least in 1988 when
17 you testified before the Commission when you set forth
18 in your direct testimony eight criteria used to
19 develop the group of comparables, that you
20 specifically excluded companies that had a dividend
21 reduction?

22 A. That's correct.

23 Q. One of the other criteria used to develop
24 your group of comparables was that they are reported
25 by the Value Line Investment Survey. Do you recall

00291

1 that?

2 A. Yes.

3 MR. MEYER: I'm sorry, Counselor. What was
4 the date of that testimony? It's been years since
5 I've seen that. Just the approximate date. What year
6 was that?

7 JUDGE CANFIELD: She used the year 1988.

8 MS. JOHNSTON: Docket number was
9 U-88-280-T. It was in March 6, 1988.

10 MR. MEYER: Thank you.

11 Q. In your analysis of comparables, why is it
12 that you relied on the Value Line Investment Survey as
13 a criterion?

14 A. I think Value Line was used because it was
15 probably the easiest way to get hopefully comparable
16 level of information on each of the companies we were
17 using at that point in time.

18 Q. Do you still refer to Value Line?

19 A. I don't personally, no. We talked to their
20 analyst -- let's make sure we're talking about the
21 same thing here. When we met with analysts, Paul
22 Debbas and the analyst that preceded him at Value
23 Line are always an important part of our communication
24 link because they do report information to Value Line
25 that is used by a lot of investors, so we try to make

00292

1 sure that they are as accurate as they can be and we
2 try to keep them current on the company.

3 Q. And these of course contain an awful lot of
4 information about the companies. Would you agree?

5 A. Yes, they do. A lot of historic data.

6 MS. JOHNSTON: Your Honor, like to have
7 this marked as Exhibit 64.

8 JUDGE CANFIELD: Okay, let's mark as
9 Exhibit 64 for identification a document just passed
10 around by Ms. Johnston.

11 (Marked Exhibit 64.)

12 MS. JOHNSTON: I'm going to move the
13 admission of Exhibit 64. I believe that Mr. Eliassen
14 laid the foundation for its admission.

15 JUDGE CANFIELD: Any objections to that
16 exhibit?

17 MR. MEYER: No objection.

18 JUDGE CANFIELD: Exhibit 64 so entered.

19 (Admitted Exhibit 64.)

20 Q. On page 42 of your deposition transcript
21 you discussed the company's desire for more accurate
22 and efficient pricing. Do you recall that?

23 A. Yes, but let me find the page. What line?

24 Q. 3.

25 A. Yes. I see it.

00293

1 Q. Then again on page 70?

2 A. Yes. At line?

3 Q. Beginning on line 10. On page 42 of the
4 transcript you testified, "so I think there has to be
5 a recognition that the tariff is only the ceiling,
6 that it's not necessarily going to be the market price
7 in the future." Do you recall that?

8 A. Yes, I do.

9 Q. And at page 70 of the deposition
10 transcript, which we just looked at, you stated,
11 "we're not competitive in the commercial market
12 today." Do you remember making that statement?

13 A. Yes.

14 Q. And when you state that the tariff should
15 be only the ceiling, are you referring to the banded
16 rates that are authorized under RCW 80.28.075?

17 A. I think my comments here were much more
18 generic. I wasn't referring to anything in RCW at
19 all. Basically I think this whole industry is coming
20 to a point where we're shifting away from cost-based
21 pricing where you just add up your expenses and derive
22 a tariff and send out a bill to probably price-based
23 costing where price, particularly from large
24 industrial customers, large commercial customers, is
25 going to be set by the market and our costs have to be

00294

1 under that so that we can still achieve a margin and
2 earned profit on that business. So when I talk about
3 the tariff being a ceiling, I'm thinking of it more in
4 those terms where we have to continue to find ways to
5 drive down costs or costs per unit so we can still be
6 profitable and still be competitive.

7 Q. Do you envision that any prices set below
8 the tariff rate would be offset with price increases
9 in other classes or would the company propose price
10 decreases with no offsetting rate increases?

11 A. I think we would have to look at that on a
12 case-by-case basis. I think that cost of service is a
13 whole different area that you can address with Mr.
14 Buergel. I do think that in the past we have
15 negotiated some special specific contracts with large
16 industrial customers, either gas or electric, to
17 really meet the market and meet the needs of those
18 customers.

19 Q. You testified a moment ago about commercial
20 paper. Is it true today that bank lines of credit are
21 more cost effective than commercial paper?

22 A. Well, it is for us. I wouldn't want to say
23 that's generic for all companies. And I don't know
24 that it would be for all companies. It is for us
25 because we have so little utilization of the

00295

1 commercial paper program and we found that trustee
2 fees and the commercial paper rating costs were
3 running about \$40,000 or \$45,000 a year, so to save
4 the \$45,000 we eliminated the program as of around
5 December 20 or December 15, something like that.

6 MS. JOHNSTON: Your Honor, would you mark
7 this for identification, please.

8 JUDGE CANFIELD: The next exhibit is No. 65
9 and this will so be marked for identification.

10 (Marked Exhibit 65.)

11 Q. Mr. Eliassen, can you identify what's been
12 marked as Exhibit No. 65?

13 A. Yes. This is a response to the request to
14 describe the process by which we determine when to
15 refinance debt.

16 Q. The response was prepared by you or at your
17 direction, under your supervision?

18 A. It was prepared at my direction.

19 MS. JOHNSTON: Your Honor, move the
20 admission of Exhibit 65.

21 JUDGE CANFIELD: Any objections?

22 MR. MEYER: None.

23 JUDGE CANFIELD: Exhibit 65 is so entered.

24 (Admitted Exhibit 65.)

25 MS. JOHNSTON: That's all I have, Mr.

00296

1 Eliassen.

2 JUDGE CANFIELD: Thank you. Mr. Trotter,
3 questions for Mr. Eliassen?

4 MR. TROTTER: Just a few.

5

6 CROSS-EXAMINATION

7 BY MR. TROTTER:

8 Q. Mr. Eliassen, assume the merger is
9 approved, and the rate case is filed in a few years.
10 In your opinion, will the cost of capital that is
11 applied to rate base in this jurisdiction be based on
12 the merged entity's cost of capital?

13 A. It should be, yes.

14 Q. So there will be no separate cost of
15 capital determination for the Water Power division?

16 A. Our case would be filed based on the cost
17 of capital for RWE. Obviously in the past there have
18 been differences between state jurisdictions in
19 terms of granted rate of return or return on equity.

20 Q. But I'm just talking about when you're
21 evaluating the cost rate of equity for the equity
22 component of the capital structure that derives the
23 rate of return to be applied to rate base for this
24 jurisdiction, we're going to be looking for the cost
25 rate of equity of RWE?

00297

1 A. That's correct.

2 Q. Let's assume that the merged company is
3 more risky financially than Water Power would have
4 been on a stand-alone basis. You may disagree with
5 that assumption but let's just assume it for purposes
6 of my next question. Do you have the assumption in
7 mind?

8 A. I would like to tell you I do disagree but
9 go ahead.

10 Q. Thank you. How would that be detected?

11 A. Well, the financial risk is probably going
12 to be best detected by some of the quantitative
13 factors that we discussed earlier, some of the
14 benchmarks of Standard and Poor's, for example. If
15 you found that we were using more leverage in the new
16 company, more debt than we might otherwise be doing,
17 that could be increasing the financial risk of the
18 company.

19 Q. What about equity cost?

20 A. Well, we have to remember that equity cost
21 is driven in large part by a proper balance of debt
22 and equity, and what you really want to do is create
23 the lowest overall required return on assets, given
24 your cost of debt, embedded cost of debt, of the
25 preferred and the cost of common.

00298

1 Q. That's your answer?

2 A. (Nodding head).

3 Q. Let me ask, assume in the next rate case,
4 Water Power proposes a cost rate of equity of 13
5 percent, and we issue a data request to you saying,
6 what would the cost rate of equity for Washington
7 Water Power company be on a stand-alone basis. How
8 would you begin to respond to that?

9 A. Well, I would say all other things being
10 equal but I don't think that would be fair. If we
11 looked at -- if we assume that the same capital
12 structure was going to be used by Water Power
13 stand-alone and RWE, you might not find that there
14 would be a huge difference or an appreciable
15 difference in the cost of equity in the next two or
16 three years. I'm not sure that I could prove that one
17 way or the other.

18 Q. Now, you were asked a number of questions
19 about Exhibit 61 which shows the projected capital
20 expenditures for the two companies; is that correct?

21 A. Yes.

22 Q. And you made the point a couple of times
23 that this does not include any refunding of debt or
24 preferred?

25 A. That's correct.

00299

1 Q. Let's assume that just for hypothetical, so
2 I can get the question out, and then I will ask it in
3 the context of the refunding issue but let's just
4 assume that these are the total external financings of
5 the two companies.

6 A. Okay.

7 Q. Realizing that it isn't but just for the
8 purpose of the question I want to ask. That would
9 imply, if that assumption was correct, that would
10 imply that in 1996 through 1998 Water Power would have
11 no need to go to the capital markets?

12 A. That exhibit stand-alone would imply that,
13 yes.

14 Q. And also shows that Sierra would need to?

15 A. Yes. There is a minor need. I'm not sure
16 --

17 Q. To the extent that Sierra went to the
18 market, the Sierra division went to the market and
19 issued, let's assume its debt securities that cost
20 more than the embedded cost of debt, that would have
21 the impact of raising the overall company -- the
22 merged company cost of debt?

23 A. If any debt is issued in the future at
24 above the combined embedded cost that would have a
25 tendency to raise the cost, yes.

00300

1 Q. Now, let's add in the point about
2 refunding. Let's assume that Water Power's refunding
3 is less than the needs of Sierra for refunding. Under
4 that assumption, if one company is financing less than
5 the other, would the weight of -- would the weighted
6 cost of debt be higher for the merged company than the
7 company issuing less debt standing alone?

8 A. Well, again, given your hypothetical, I
9 guess I would have to agree, but I do have to disagree
10 with that assumption. Water Power has a fairly large
11 refunding requirement during this five year period,
12 1994-1998. Sierra power does not.

13 Q. Then let's look at it that way, and I guess
14 maybe just go right to the heart of my question. If
15 the companies are financing debt at different levels,
16 won't the weighted cost of debt be higher and be
17 unfair to apply that cost rate of debt to the
18 jurisdiction that had the lower financing requirement?

19 A. I don't think I can agree with that. One
20 of the things we're going to find here is Sierra has
21 actually a lower cost embedded cost of debt than we
22 do, than Water Power does at this time. They also
23 have a significantly longer maturity, average maturity
24 at the outstanding debt. We've actually shortened
25 maturity of our portfolio to something like 13 or 14

00301

1 years at this point in time, and actually the embedded
2 cost of debt is slightly higher I believe as of the
3 end of the year, so there's really a benefit to Water
4 Power in terms of reducing the overall debt cost
5 requirement through this merger. That's for starters,
6 just by putting the two companies together we reduce
7 our embedded debt cost.

8 Q. Would there be any -- so you're saying that
9 Water Power on a merged basis will have under any
10 scenario a lower cost of debt than it would standing
11 alone?

12 A. Well, I couldn't -- the only way we could
13 assume right now that the cost of debt is going to be
14 higher is that if we assume we're going to do a
15 significant amount of financing at something in excess
16 of 8 percent coupon rate going forward, and we're
17 talking about a company, combined company, here with
18 \$1.1 billion in debt, \$1.2 billion. So it would take
19 quite a few million at a fairly significant rate to
20 start to swing that very much.

21 Q. You were asked some questions about the
22 fact that based on your forecasts the company was
23 going to earn less than its authorized return, do you
24 remember, at the very beginning of your cross
25 yesterday?

00302

1 A. Yes.

2 Q. What is your currently authorized return?

3 A. On equity is 12.75 to 12.9.

4 Q. When was that cost rate established?

5 A. Probably at three different points in time,

6 and I don't recall. It's been reviewed in 1988,

7 probably reviewed again as part of a gas case in 1990.

8 And I don't recall the date of the Idaho order.

9 Q. I'm talking about this Commission --

10 A. Right.

11 Q. -- issuing an order on cost of capital. Do

12 you know when the last order --

13 A. No, I don't know the date.

14 Q. But was that an issue in the gas case you

15 referenced to?

16 A. There was filed testimony in the gas case,

17 yes.

18 Q. Did the Commission resolve that on its

19 merits in the order?

20 A. There was a stipulated rate of return and

21 return on equity inherent in that.

22 Q. Now, is it -- and is that equal to the

23 current cost of equity for Water Power?

24 A. Well, I don't want to get into cost of

25 equity testimony here, but given the current financial

00303

1 markets, I would think that -- I would testify to a
2 return on equity requirement certainly in the 12 to 13
3 percent range.

4 Q. Is it your testimony that the benchmark for
5 determining whether the company is earning at or below
6 a fair return is the last authorized return or the
7 return that would be applicable in the year that you
8 had the earnings?

9 A. Well, I think my response yesterday was
10 more in terms of the utility stand-alone is -- this
11 year, for example, our return on equity was 9.9
12 percent, 1994 Water Power. And when you look out in
13 the future you see projections, given the assumption
14 that we made in the merger projections for RWE, of
15 earning a return on equity from the utility of right
16 at 11 percent or slightly below in 1998, and I think
17 that's below the cost of equity at this point in time,
18 and I think it's below the cost of equity at that
19 point in time.

20 Q. Are you suggesting that your projections --
21 well, are your projections based on normal weather?

22 A. Our projections are, yes.

23 Q. Was the 9 percent return that you just
24 referred to based on normal weather?

25 A. That's based on the actual operating

00304

1 results of 1994, yes.

2 Q. Was that based on normal weather?

3 A. No.

4 Q. Are you suggesting that this Commission
5 should measure merger benefits on the basis of the
6 actual weather that the company experiences?

7 A. No, I wasn't trying to bring weather into
8 it. Just saying that I think right now the cost of
9 equity, the investor's required cost of equity, the
10 earned cost of equity by the industry, is averaging
11 somewhere around 12, 12 and a quarter percent. I
12 think if you're substantially below that for any
13 period of time you're going to be disadvantaged in
14 terms of access to capital.

15 Q. Let's tie it down to this case. The
16 company in an exhibit, I understand will be offered
17 for admission later, data request 340, contains the
18 company's budgets and contains what it expects the
19 earned return on equity to be over the next five
20 years?

21 A. That's correct.

22 Q. Those numbers will speak for themselves,
23 but is it your testimony that we should evaluate
24 whether the company is overearning or underearning
25 based on those numbers should the benchmark you're

00305

1 asking be authorized, existing cost rates or the cost
2 rates that will be applicable over the time period
3 shown in that exhibit?

4 A. I think you have to use -- and we've used
5 some judgment in looking at the numbers going forward.
6 When we agreed to, when we filed this case, to reduce
7 or eliminate what we saw was the need for rate
8 increases in the 1996 and 1998 time periods, we
9 agreed, I guess implicitly in that, that we were going
10 to be living with 11 percent projected return on
11 equity by the end of 1998 from the utility.

12 Q. We don't know what the capital markets are
13 going to be in 1998, do we?

14 A. No, we don't, but it's just -- I'm not
15 saying that that's going to be the market required
16 return on equity at that point in time, but we felt
17 that it was an earnings level given the capital
18 structure of the company and given our ability to
19 continue to finance through this merger period.

20 Q. And your cost of equity capital is going to
21 be going down, is it not, due to the merger?

22 A. Well, it's a question of down from where.
23 You and I can probably agree right now it will go down
24 from 12.9. I don't agree, though, that this industry
25 has a cost of equity capital less than 12 at this

00306

1 time. I think the risks in this business,
2 particularly for smaller companies, are going to
3 continue to grow, and either the equity ratio has to
4 continue to increase or the cost of equity is going to
5 increase or both. I think that's going to happen in
6 the industry not just to this company.

7 Q. And so point of this merger is not to
8 reduce those risks?

9 A. I think the point of this merger is going
10 to reduce those risks. What we're doing with this
11 merger is benefitting the customers in both company's
12 jurisdictions long-term through lower rates, lower
13 than they otherwise would have been, and still
14 providing the basis for a company that can continue to
15 grow and be stronger going forward in terms of
16 providing customer service and adequate returns to its
17 investors.

18 Q. And that includes lower capital costs, does
19 it not?

20 A. I don't know that I would agree that it's
21 going to be lower capital costs. The company RWE,
22 as compared to Washington Water Power stand-alone
23 three years from now, might have lower capital costs
24 just because of the size of the company. Water Power
25 stand-alone will face more business risk, more

00307

1 volatility in its earnings than the combined company
2 will, and therefore it might be viewed as more risky.
3 It might have a higher cost of capital, a higher cost
4 of equity in 1998 because of that. Changes in this
5 industry are going to drive very quickly some real
6 changes in cost of capital.

7 Q. According to your deposition testimony that
8 was cited to you yesterday, didn't you say that the
9 cost of capital was going to be going down compared to
10 Water Power stand-alone basis as early as 1997
11 immediately after the merger?

12 A. I think RWE will be stronger and I think
13 its cost of capital can be less because of the
14 business risk. I think it will be a less risky
15 business going forward and depending on how we lever
16 the company, the financial leverage that we use I
17 think that you can overall lower the cost of capital
18 for the company.

19 Q. Did your analysis when you budgeted your
20 earned returns, did you take into account what Water
21 Power would be authorized on equity?

22 A. We made no assumptions. We've continually
23 tried to find ways to continue to leave our prices as
24 they are and not make any assumption on having to
25 increase price of the commodity to the customer, and

00308

1 so we made no assumptions on changing costs.

2 Q. Now, Mr. Redmond yesterday made -- said one
3 of the problems facing your company was the lack of
4 some sort of fuel clause. Fuel clauses don't leave
5 prices as they are, do they?

6 A. No. You have to be careful when we're
7 talking about fuel clauses. The stability of pricing
8 to particularly larger customers, industrial and
9 commercial customers, that have choices probably will
10 be a real issue in the future.

11 Q. A real issue?

12 A. A real issue in the future, and I think it
13 already is an issue with some customers. They want
14 some kind of assurance that there's going to be a
15 relative stability in the price or they at least
16 want some assurance that they know what the price will
17 be over time. So clauses that adjust for everything,
18 that adjust for any kind of cost, probably aren't
19 construed as being in the best interests of the
20 customer. Rating agencies like the protection and
21 analysts like the protection, but it may not be in the
22 best interests of the customer. What we do have,
23 though, with the power cost adjustment mechanism
24 that we currently have in Idaho is the ability to make
25 adjustments that are relatively small, but adjust only

00309

1 for those things that management can change like hydro
2 conditions, and I think the important thing for -- and
3 that's why I don't like the term "fuel adjustment." I
4 don't think it's really fuel. The things that you
5 want the adjustment clauses to deal with are those
6 things that you can't manage around very well. They
7 help you hedge, if you will, for the bad water years.
8 Those are okay as long as they don't cause huge
9 volatility in pricing and they are a benefit to the
10 company. They are a benefit to the company's
11 customers in the long term and to the company's
12 investors.

13 Q. Is there anything about this merger that
14 implies Commission approval of any such mechanism?

15 A. No, no, no. I just answered your question.

16 Q. You just answered that one. Thank you.

17 MS. JOHNSTON: That's all I have.

18 JUDGE CANFIELD: Questions, Commissioners,
19 for Mr. Eliassen?

20 COMMISSIONER HEMSTAD: I don't have any.

21 COMMISSIONER GILLIS: I don't have any
22 either.

23 JUDGE CANFIELD: Any questions on redirect,
24 Mr. Meyer?

25 MR. MEYER: I think just one or two.

00310

1

2

REDIRECT EXAMINATION

3 BY MR. MEYER:

4

Q. Refer back, if you will, to Exhibit 20.

5

6

7

8

9

You were asked a series of questions by staff counsel with regard to Sierra Pacific Resources and you were asked essentially to go down the list of indices there. You show in that exhibit, don't you, a column entitled S and P benchmarks for A rating?

10

A. Yes, I do.

11

Q. What's the significance of that column?

12

A. That was just to give the guidelines that S

13

and P uses for their A rating category. Basically

14

it's a range of numbers, pre-tax interest coverage,

15

for example, that they would expect to see an A rated

16

company have.

17

Q. Viewing that as a range, do you have any

18

comments with respect to how Sierra fits within that

19

range on those identified indices?

20

A. Well, Sierra is viewed by Standard and Poor

21

as being an average A rated company of average

22

business risk, which isn't really all bad. In fact

23

it's good. And they fit very well within these

24

categories, in all of these categories. The only

25

weakness that Sierra has had that might show up in

00311

1 some of these in the near term is just the level of
2 funds to cover capital construction.

3 Q. Would you expect that particular item to
4 fluctuate over time rather dramatically?

5 A. Very much so. With smaller companies like
6 Sierra or Water Power, if you have the relatively
7 large capital construction program most of the time
8 you cannot generate enough cash in a given year to
9 cover that so you do have need for significant
10 external financing in those situations, and therefore
11 the ratio would be quite low.

12 MR. MEYER: Very well. That's all I have.
13 Thank you.

14 JUDGE CANFIELD: Any follow-ups?

15 MS. JOHNSTON: Just one question.

16

17 RECROSS-EXAMINATION

18 BY MS. JOHNSTON:

19 Q. Mr. Eliassen, correct me if I'm wrong, but
20 did I hear you say in response to a question asked by
21 Mr. Trotter that Washington Water Power had
22 significantly more to refund or finance in five years
23 than Sierra?

24 A. I would have to verify it. I know Water
25 Power has to refund \$140 million in the next 1996

00312

1 through 1998. Bear with me while I look for a number.

2 Q. Well, I'm going to ask you to take a look
3 at Exhibit 64 which is the Value Line Investment
4 Survey.

5 A. I told you I don't use Value Line. I've
6 lost it.

7 Q. Take a look at the second page, would you,
8 under capital structure as of 6-30-94. Do you see
9 that box?

10 A. Yes. The line says due in five years \$134
11 million?

12 MR. TROTTER: By second page, did you mean
13 second page of the exhibit or the Sierra?

14 MS. JOHNSTON: Second page of the exhibit.

15 MR. TROTTER: Which is the Water Power?

16 MS. JOHNSTON: Water Power.

17 Q. I will ask you about the \$134.1 million
18 which is due in five years for Sierra in a minute. So
19 for Water Power what does Value Line show as due in
20 five years?

21 A. Shows 110.

22 Q. So would you agree that Sierra does have a
23 significant amount to refund?

24 A. Well, I would agree that if you use those
25 numbers that's what those suggest.

00313

1 Q. Is it your opinion, then, that those
2 numbers are incorrect?

3 A. Well, again --

4 MR. MEYER: Just so the record is clear --
5 I may have missed a beat here -- Counsel, was the
6 question going to the amounts to be refunded by the
7 two companies or combination of refunding and
8 additional financing?

9 MS. JOHNSTON: Refunds.

10 MR. MEYER: Just focusing on refunding.
11 Okay.

12 A. The data that I have, and I guess I would
13 have to check it, would not show that Sierra has that
14 level of refunding through 1998. Now, I don't know
15 the five-year period that Value Line refers to here
16 but all of my answers have been couched in terms of
17 the 1994-1998 period, and the numbers that I would
18 show would not suggest that level -- but I can check
19 that -- they suggest less.

20 Q. Well, we would like you to do that if you
21 would as the next record requisition in line. I
22 believe it would be No. 14.

23 JUDGE CANFIELD: Yes. That is the next
24 number in order.

25 (Record Requisition 14.)

00314

1 A. So that there's some continuity here, too,
2 I would like to tie my response to this requisition
3 back to public counsel 340 and that data.

4 Q. That's fine, as long as we get your numbers
5 and you're able to explain any discrepancies between
6 your numbers and Value Line's numbers. Thank you.
7 That's all I have.

8 JUDGE CANFIELD: Any follow-ups, Mr.
9 Trotter?

10 MR. TROTTER: No.

11 JUDGE CANFIELD: Commissioners?

12 And Mr. Meyer.

13 MR. MEYER: May he be excused?

14 JUDGE CANFIELD: If there's no more
15 questions, let's do that. You're excused and let's
16 take our afternoon break and come back at 3:00.

17 (Recess.)

18 JUDGE CANFIELD: We're back on the record
19 after our afternoon break. Mr. Eliassen had just
20 concluded his testimony, so I will ask Mr. Meyer if
21 he's ready with his next witness.

22 MR. MEYER: I am. I call to the stand Mr.
23 Bryan, and while he's setting himself up, and he
24 already has, take a minute just to describe a couple
25 of housekeeping issues here.

00315

1 JUDGE CANFIELD: Before I forget to do
2 that, I need to do an oath.

3 Whereupon,

4 LESTER BRYAN,
5 having been first duly sworn, was called as a witness
6 herein and was examined and testified as follows:

7 JUDGE CANFIELD: Go ahead.

8 MR. MEYER: Two housekeeping items, the
9 first of which was during the noon hour I passed
10 around a color map, 8-and-a-half-by-11 color map, and
11 what we ought to do is mark that for identification.
12 The purpose for which this will be used is to perhaps
13 be as responsive as we can be to issues raised by or
14 questions raised by Chairman Nelson and perhaps others
15 with respect to how the transmission grid works. So
16 as a first order of business, if we might have this
17 marked as Exhibit -- the last one would be what?

18 JUDGE CANFIELD: Next in order would be
19 Exhibit 66.

20 (Marked Exhibit 66.)

21 MR. MEYER: In due course Les Bryan can
22 refer to this. One other thing. We're having this
23 Exhibit 66 blown up, expanded, to poster size for ease
24 of reference and that should arrive any time, and
25 perhaps at the end of cross-examination but before the

00316

1 Commissioners ask questions, we might make that
2 available to assist the Commissioners in their review
3 of this. It's a little hard for everyone to make
4 reference to the smaller maps. We thought that might
5 prove helpful.

6 Second item of housekeeping, we passed out
7 revised Exhibit 31, and that's denoted revised
8 12-22-94 in the lower right-hand corner. You should
9 substitute these pages in their entirety for what had
10 been prefiled as Exhibit 31, and the originally filed
11 Exhibit 31 had four pages. The new version as of
12 12-22-94 has these three pages, so scrap the old in
13 its entirety and insert the new, please.

14 JUDGE CANFIELD: Okay. The exhibit number
15 as such does not appear on that, but the revision of
16 12-22-94 does.

17 MR. MEYER: So right behind the exhibit
18 cover page you would insert these three pages. And in
19 just a moment I will ask Mr. Bryan to make
20 corresponding changes to the text of his testimony so
21 that the testimony agrees with this revised exhibit.
22 We'll try and get through that as speedily as
23 possible. So those are the housekeeping matters.

24

25

00317

1 DIRECT EXAMINATION

2 BY MR. MEYER:

3 Q. And with that, Mr. Bryan, please state your
4 name and employer and your position.

5 A. Yes. My name is first initial W., Lester
6 Bryan. I'm employed by the Washington Water Power
7 Company and my title is senior vice-president rates
8 and resources.

9 Q. And have you prefiled Exhibit T-27
10 consisting of your prepared direct testimony?

11 A. Yes, I have.

12 Q. And do you have changes to make to that
13 prepared testimony primarily to correspond with your
14 revised Exhibit 31?

15 A. Yes, I do, and a couple of other minor
16 changes.

17 Q. Would you proceed.

18 A. Yes. The first change is on page 5, line
19 33. I'm talking about the nine-mile hydroelectric
20 project. Change the number 30 megawatts to 29
21 megawatts. That then corresponds with the same number
22 that's been reflected in my exhibit. Moving on to
23 page 10, line 18.

24 Q. Excuse me. You had one on page 6 as well.

25 A. Oh, excuse me.

00318

1 MR. MEYER: Everybody set on page 5? Got
2 that change?

3 A. On page 6, line 4, this change reflects the
4 fact that the Rathdrum project is indeed now
5 operational so strike the words "is expected to become
6 operational by" and replace those words with "became
7 operational on." So now that last sentence would
8 read, "This plant became operational on January 1,
9 1995."

10 Now, moving on to page 10, on line 18, I
11 refer to Exhibit 29, section 1. Scratch "section 1."

12 Moving on to page 21, on line 21, scratch
13 the word "three." Replace it with the word "two."
14 Insert a new sentence after the sentence that ends
15 with "categories." The new sentence that I'm
16 inserting reads as follows: "In addition we have
17 acquired the Sandpoint properties and corresponding
18 load."

19 Q. Just wait a minute. Let's let everybody
20 have time to make that.

21 JUDGE CANFIELD: Maybe you can repeat that
22 now that we've gotten halfway through it.

23 THE WITNESS: The sentence that I've
24 inserted reads, "In addition, we have acquired the
25 Sandpoint properties and corresponding load."

00319

1 A. Now, the following changes will tie my
2 testimony in with the revised exhibit. On page 22,
3 line 14, scratch the words "Idaho sale."

4 Q. Go ahead.

5 A. On line 25, where we say the "Sandpoint
6 load adds about," scratch 64 and replace that with 54.
7 Scratch 32 and replace that with 28, and insert at the
8 end of that sentence after the word "energy," "in
9 1995." So that last sentence would read, "the
10 Sandpoint loads adds about 54 megawatts of peak and 28
11 average megawatts of energy in 1995."

12 And on page 24, line 5, scratch 2007 and
13 replace that with 2009. In the line just below that,
14 scratch the year 2000.

15 Q. 2008?

16 A. Excuse me 2008, and replace that with
17 2010. The energy deficit will be three average
18 megawatts instead of 10. And scratch 119 and replace
19 that with 60. So now that sentence beginning in line
20 4 would read as follows: "These numbers would
21 indicate that Water Power is either in energy balance
22 or surplus on an annual basis through 2009." Next
23 sentence, "starting in 2010, the energy deficit is
24 three average megawatts and increases to 60 average
25 megawatts deficit by 2014, the end of the 20-year

00320

1 period."

2 Q. One last change, please.

3 A. Yes. On line 12, scratch the year 1995 and
4 replace that with 2006.

5 Q. Do those complete the changes to your
6 prefiled direct testimony?

7 A. Yes, they do.

8 Q. If I were to ask you the questions that
9 appear in that testimony with those changes having
10 been made, would your answers be the same?

11 A. Yes.

12 Q. Are you sponsoring what has been marked for
13 identification as Exhibits 28 through 31?

14 A. Yes, I am.

15 Q. With the revisions having been made to
16 Exhibit 31, is your exhibit material, true and correct
17 to the best of your knowledge?

18 A. Yes, they are.

19 MR. MEYER: With that I tender the witness
20 for cross-examination noting, however, for Chairman
21 Nelson's sake, just as a preliminary matter before you
22 returned to the room we had passed around a
23 transmission map. We knew you were interested as well
24 as others. We were going to have that blown up,
25 bigger version.

00321

1 CHAIRMAN NELSON: Here it comes.

2 MR. MEYER: It is here. I thought as a
3 preliminary matter, and I've discussed this with
4 counsel, that we would have this witness make
5 reference to this map. I will just have a couple of
6 preliminary questions. Now that is an expanded or a
7 blown-up version of what has been marked as Exhibit
8 66, and I should also move the admission of Exhibit 66
9 before I neglect to do that.

10 JUDGE CANFIELD: All of them have been
11 identified and you would move admission of all of
12 them?

13 MR. MEYER: Yes.

14 JUDGE CANFIELD: Any objections? Let the
15 record reflect there are none. Exhibits T-27 and
16 Exhibits 28 through 31, with 31 being the substitute
17 revised Exhibit 31, revised 12-22-94, and Exhibit 66
18 are all so entered into the record.

19 (Admitted Exhibits T-27, 28 - 31 and 66.)

20 MR. MEYER: Thank you.

21 Q. With that having been done, Mr. Bryan,
22 turning your attention to Exhibit 66, the map, just a
23 couple of preliminary questions. Would you identify
24 where the Water Power transmission facilities are and
25 approach the bigger map, please.

00322

1 A. The Water Power transmission facilities are
2 up in this area (indicating).

3 Q. And they're color coded red?

4 A. They are color coded orange, which is
5 awfully close to the same color as red. Orange is the
6 Water Power colors and red is the color for the Idaho
7 Power Company's network.

8 Q. And would you identify on that exhibit the
9 Sierra network of transmission facilities?

10 A. Their transmission facilities are located
11 within the state of Nevada around the Reno area and
12 then showing their transmission interconnections east
13 and north as well as west and south.

14 Q. That is colored black, right?

15 A. Yes.

16 Q. And BPA network, please?

17 A. BPA network is shown in yellow and it
18 basically is all over the northwest.

19 Q. With respect to this merger and the
20 integration, if you will, of transmission facility,
21 would you just give a short explanation of how the
22 combined companies intend to make use of the 200,
23 roughly 200, megawatt path as well as the proposed
24 Alturas transmission project.

25 A. Yes. The Water Power main transmission

00323

1 shown on this map goes from the box indicated 1, which
2 is basically in the northeast corner of Oregon, and it
3 goes north through the Spokane area and ties in with
4 the boxes that are labeled 6 and 7, and box 5. These
5 are interconnections with the BPA, and the box
6 indicated 1 is our interconnection with the Idaho
7 Power Company at a point we call Lolo or Divide.
8 Those names represent the point of interconnection.
9 Then, as you see, the red transmission system from the
10 one box up here to the one box down below in southern
11 Idaho, that represents the Idaho Power transmission
12 system, and at this point, they interconnect with the
13 Sierra Pacific system, and that interconnection goes
14 to the Valmy power station. Of course where we are
15 interconnected with Bonneville up here in the 6 and 7
16 blocks, that yellow transmission system carries us all
17 the way down to box 6, and this is where the northern
18 terminal of the Alturas interconnection is, so we will
19 be using the transmission path through Bonneville;
20 where we will deliver up in the Spokane area, it will
21 come down to the northern terminal of Alturas. In
22 addition we'll also be delivering through the Idaho
23 Power Company system or the Valmy line.

24 CHAIRMAN NELSON: Thank you. This really
25 is very helpful. Just two points of clarification.

00324

1 PAC is PacifiCorp, PAC network, the white line?

2 THE WITNESS: Yes.

3 CHAIRMAN NELSON: And my eyes tell me that
4 the Sierra Pacific lines are blue, and then the black
5 ones are in California and off to Arizona; is that
6 right? That's the way it looks to me.

7 MR. MEYER: Well, I may have missed both
8 colors actually. I think you're right.

9 CHAIRMAN NELSON: I think they are blacker
10 than the blue lines in Nevada.

11 COMMISSIONER HEMSTAD: The chairman is very
12 subtle.

13 MR. MEYER: I will schedule an appointment
14 when I return to Spokane.

15 CHAIRMAN NELSON: It's very helpful to me.
16 Thank you for producing this.

17 JUDGE CANFIELD: Is that it, Mr. Meyer.

18 MR. MEYER: I think that's finally it. Now
19 on to cross.

20 JUDGE CANFIELD: Okay with that, Mr. Bryan
21 is available for cross. Ms. Johnston.

22 MS. JOHNSTON: At the outset, Your Honor, I
23 move the admission of Mr. Bryan's deposition
24 transcript. Like to have that marked as Exhibit 67.

25 JUDGE CANFIELD: That's the next number in

00325

1 order. I will mark that as Exhibit No. 67. Any
2 objections to that exhibit?

3 MR. MEYER: None.

4 JUDGE CANFIELD: Exhibit 67 is so entered
5 into the record.

6 (Marked and Admitted Exhibit 67.)

7 MS. JOHNSTON: Thank you.

8

9 CROSS-EXAMINATION

10 BY MS. JOHNSTON:

11 Q. Mr. Bryan, please turn to page 9 of your
12 testimony.

13 A. Yes, I'm there.

14 Q. At the bottom of page 9 and continuing on
15 to the top of page 10, you describe Water Power's
16 wholesale power market activities. Would you
17 characterize Water Power's wholesale power activities
18 as successful given the high percentage of megawatt
19 hour sales to other utilities?

20 A. Yes, I would.

21 Q. The Rathdrum combustion turbine is
22 presently operating. How many hours per year is
23 Rathdrum allowed to operate based on emissions
24 permits?

25 A. I believe it's approximately 4,000 hours a

00326

1 year for both units.

2 Q. On page 10 of your testimony at lines 14
3 and 15, you state that "Water Power has a large number
4 of firm wholesale transactions that are currently
5 effective." Is that correct?

6 A. Yes.

7 Q. Based on Water Power's present load
8 resource balance, the operation of Rathdrum combustion
9 turbine and the large number of firm wholesale
10 transactions that are currently effective, do you
11 believe there are significant opportunities for
12 additional transactions to be entered into without
13 building additional resources?

14 A. Without the Washington Water Power Company
15 building additional resources?

16 Q. Yes.

17 A. Yes, I do.

18 Q. Please turn to page 18 of your testimony.
19 At lines 7 and 8 you describe WP's use of a 50- year,
20 a 50-average megawatt planning criteria for long-range
21 energy planning?

22 A. Yes.

23 Q. Is it correct to characterize this criteria
24 as one of relying upon shorter term nonfirm and
25 short-term purchasing to meet energy requirements

00327

1 until the need for longer term resources is confirmed
2 and evaluated?

3 A. With the number of interconnections that
4 Water Power has and the current situation within the
5 WSCC, the Western Systems Coordinating Council
6 utilities, we think it is prudent to rely on 50
7 megawatts of either firm or nonfirm. It would depend
8 on how long we would have a deficiency as part of our
9 basic for resource portfolio. So I wouldn't want to
10 indicate that we would end up necessarily replacing
11 that. We see that right now under current conditions
12 as an ongoing resource strategy to keep our resource
13 costs low.

14 Q. Is there a standard or methodology used
15 by Water Power to evaluate whether a requirement, as
16 you describe it, actually exists or is simply an
17 aberration or an anomaly?

18 A. A requirement for? For what?

19 Q. Energy.

20 A. Well, our requirement that I refer to on
21 line 12 of this page 18 talks about the firm energy
22 requirements of our customers, both firm wholesale
23 customers, as well as our retail customers. So those
24 requirements are very real. What we do know is that
25 because of energy surpluses that thermal generating

00328

1 systems naturally have, we can, to the extent we have
2 enough transmission paths available to us, rely on
3 bringing that energy in on a short-term basis to cover
4 some of our firm requirement.

5 Q. Turning to the area of integrated resource
6 planning discussed in your testimony at page 18. Are
7 you at all familiar with the Nevada revised statutes
8 regarding resource plans to be filed in the state of
9 Nevada?

10 A. No, I'm not.

11 Q. Well, would you accept subject to check
12 that section 704.746 has a heading reading "public
13 hearing on adequacy of plan. Determination by
14 Commission." The statute goes on to read in 4 sub A,
15 of that portion of the rule which states that "the
16 Commission may give preference to the measures and
17 sources of supply that provide the greatest economic
18 and environmental benefits to the state." In your
19 opinion, does the term economic benefit include the
20 consideration of such factors as construction,
21 employment, employee payroll and tax base
22 consideration."

23 MR. MEYER: Excuse me. It's a fair
24 question but perhaps the better witness is Mr. Canning
25 who deals intimately with resource planning Nevada.

00329

1 He could give you a better interpretation of what's
2 meant by the statute I think.

3 Q. Can you answer the question, Mr. Bryan?

4 A. It would just be speculation on my part. I
5 believe that in discussions that I have had with
6 employees of Sierra, they thought in terms of the --
7 that the geothermal effort in Nevada was driven by
8 employment in Nevada and improving economic conditions
9 because of geothermal development, but you would need
10 to verify that with Mr. Canning.

11 Q. To your knowledge, does the Washington
12 state rules on IRP process include the specific
13 consideration of economic benefits to the state?

14 A. Not to my knowledge.

15 Q. Has Water Power considered how it would
16 incorporate potential conflicting goals and
17 measurement criteria when developing a single resource
18 plan for the merged company?

19 A. Well, we're obviously going to have to
20 adopt the resource strategies for the Water Power
21 division as well as the Sierra division in a way that
22 meets the needs of the -- of the jurisdiction that
23 will be looking at that resource plan strategy. I
24 think the fact that we have limited transmission
25 between the Sierra and Nevada division -- or the Water

00330

1 Power and the Sierra division that we'll find that the
2 resource portfolio for the Water Power division will
3 probably be somewhat different than the resource
4 portfolio for the Sierra division, but basic
5 philosophy and what we're trying to achieve relative
6 to customers' rates, I think the trying to reach
7 agreement between the jurisdictions on a similar risk
8 profile, I think we'll try to carry that through in
9 both the Water Power division and the Sierra division.
10 We have not had an awful lot of discussion relative to
11 how the actual document would come out or what the
12 resource portfolio would look like. These are just
13 kind of thoughts that I've had as we've been talking
14 internally about filing a joint integrated resource
15 plan.

16 MS. JOHNSTON: Your Honor, can we go off
17 the record? I have several data request responses
18 that I would like to offer into the record and I only
19 have a few questions pertaining to one of them for Mr.
20 Bryan. I don't want to take time that I shouldn't.

21 JUDGE CANFIELD: I will take a short break
22 off the record for the distribution of those
23 documents.

24 (Recess.)

25 JUDGE CANFIELD: We're back on the record

00331

1 after a break during which time several documents were
2 distributed, and we did go ahead and preassign exhibit
3 numbers off the record and those will be briefly
4 identified by Ms. Johnston.

5 (Marked Exhibits 68 - 77.)

6 MS. JOHNSTON: Thank you.

7 Q. Mr. Bryan, you've just been handed what
8 have been marked as Exhibits 68, 69, 70, 71, 72, 73,
9 74, 75, 76 and 77 for identification. Do you have
10 those before you now?

11 A. Yes, I do.

12 Q. Have you had a chance to look at them?

13 A. Just briefly, yes.

14 Q. And what are they?

15 A. They are responses to data requests made by
16 the WUTC staff and last exhibit, I believe, was in
17 response to a data request by public counsel, and they
18 were prepared, either directly from my testimony, or
19 from testimony that myself and others were a party to.

20 MS. JOHNSTON: Your Honor, I move the
21 admission of Exhibits 68 through 77.

22 JUDGE CANFIELD: Just so the numbering is
23 clear in that, request No. 4 was Exhibit 68; request
24 No. 51 was Exhibit 69; request No. 70 was marked as
25 Exhibit 70; request 71 as Exhibit 71; request 75 as

00332

1 Exhibit 72; request No. 91 as Exhibit 73; request No.
2 93 as Exhibit 74; and request 96 as Exhibit 75; and
3 request 97 as Exhibit 76; and request No. 367 as
4 Exhibit 77. Any objection to those exhibits?

5 MR. MEYER: No objection.

6 JUDGE CANFIELD: Exhibits 68 through 77 are
7 so entered into the record.

8 (Admitted Exhibit 68 - 77.)

9 Q. Mr. Bryan, would you please look at Exhibit
10 76.

11 A. Yes, I have Exhibit 76 in front of me.

12 Q. Now, in this response you describe in
13 general terms how Water Power has made changes to its
14 way of doing business as a result of competition. Is
15 that true?

16 A. Yes.

17 Q. And as an officer of the company, you are
18 also aware of the effort by Water Power to reduce
19 costs through downsizing and reorganization over the
20 past several years; is that correct?

21 A. Yes, I am.

22 Q. My question is, after working with Sierra
23 Pacific over the last several months since the
24 proposed merger was announced, is it your opinion that
25 Sierra has as a stand-alone company made similar tough

00333

1 decisions to adjust to competition through some
2 business realignment, downsizing or reorganization?

3 A. I can't speak to what Sierra has done prior
4 to the last year, but at the time that Walt Higgins
5 took over, as he testified to yesterday, they have
6 begun several efforts from intensifying their
7 wholesale marketing efforts to improving the ways in
8 which they do business as well as consolidating their
9 operations and increasing their span of control. I am
10 aware of that just by discussions. I have not been
11 inside the Sierra Pacific Company and seen that, but
12 it's from discussions that I've had with employees of
13 Sierra as well as employees of the Washington Water
14 Power Company that have worked on the transition
15 teams.

16 Q. You think Sierra is as far along in its
17 reorganization as Water Power is?

18 A. No.

19 Q. Mr. Canning's direct testimony addresses
20 electric production-related benefits of the merger for
21 both Sierra Pacific and Water Power. Is that true?

22 A. Yes.

23 Q. Do you believe the production-related
24 benefits of the merger are significant?

25 A. Well, I think when we get into benefits of

00334

1 50 plus million dollars, I mean, that's a number that
2 kind of gets my attention so I would say that is
3 significant. Relative to the total merger benefits I
4 believe it's about 11 percent, so it's a fairly small
5 portion of the total merger benefits.

6 Q. Would you accept subject to check that it's
7 closer to 16 percent of the merger benefits?

8 A. 16 percent? Yes, I would accept that
9 subject to check.

10 Q. Did you participate in the development of
11 the production-related benefit estimates as presented
12 in the direct testimony of Mr. Canning?

13 A. No. I was not directly involved. I had
14 staff in my area that worked on that.

15 Q. Well, will Washington ratepayers benefit
16 from the production-related benefits of the merger?

17 A. Yes, they will.

18 MS. JOHNSTON: I would like to have this
19 marked as the next exhibit in line, please.

20 JUDGE CANFIELD: For the record Ms.
21 Johnston just passed around two additional document.
22 The first one, the request No. 65, response marked as
23 Exhibit 69, the second one, the request No. 67, and
24 response marked as Exhibit 70.

25 MR. TROTTER: I'm sorry?

00335

1 JUDGE CANFIELD: We've got some -- excuse
2 me on those numbers. I had a document out of place
3 here covering up my other numbering. Those would be
4 78 and 79, 78 being the request No. 65 and 79 being
5 request No. 67. Thank you.

6 (Marked Exhibits 78 and 79.)

7 Q. Mr. Bryan, do you recognize what's been
8 marked for identification as Exhibits 78 and 79?

9 A. Yes, I do.

10 Q. Are they responses to staff data requests
11 prepared by you or at your direction or under your
12 supervision?

13 A. Yes, they are.

14 MS. JOHNSTON: Your Honor, move the
15 admission of Exhibit 78 and 79.

16 JUDGE CANFIELD: And any objections?

17 MR. MEYER: No objection.

18 JUDGE CANFIELD: The request No. 65 is so
19 entered as Exhibit 78 and request No. 67 and response
20 so entered as Exhibit 79.

21 (Admitted Exhibits 78 and 79.)

22 MS. JOHNSTON: Thank you.

23 Q. In your response to staff data request 67
24 as well as in your deposition testimony at page 22,
25 lines 5 through 7, you state that the merger will

00336

1 result in increased wholesale sales and wheeling
2 revenues for Washington Water Power, assuming Sierra
3 Pacific completes construction of the Alturas
4 transmission project into northern California in
5 1997. is That correct?

6 A. Yes, that's correct.

7 Q. In the joint response by you and Mr.
8 Higgins to staff data request No. 49 --

9 MR. MEYER: That's Exhibit 68?

10 MS. JOHNSTON: Thank you.

11 Q. And in your response to staff data request
12 65, which is Exhibit 78, as well as in your deposition
13 testimony at pages 5 and 6, you discuss wholesale
14 marketing activities in the broader context of access,
15 that is, access to markets. Would you agree?

16 A. Yes. I would agree.

17 Q. You mentioned that "location in the
18 marketplace" needs to be there for Water Power to
19 achieve competitive advantages. Do access to markets
20 and location in the marketplace translate into
21 increased wholesale and wheeling revenues?

22 A. They certainly can, yes.

23 Q. Does a merger with Sierra Pacific provide
24 Water Power with the access and location in the
25 marketplace benefits you were referring to?

00337

1 A. Pardon, I didn't catch the last part of
2 your question.

3 Q. Well, does the merger with Sierra Pacific,
4 in your opinion, provide Water Power with the access
5 and location in the marketplace benefits you just
6 referred to?

7 A. Let me try to answer your question. If I'm
8 not responsive, please stop me. What the merger with
9 Sierra will do will allow us to get access to markets
10 that currently can be restricted because of
11 transmission policies of other utilities. So for
12 example, if we talk about the city of Modesto, we can
13 serve the city of Modesto through the BPA system, but
14 we have their intertie access policy which can be
15 restrictive and limit the kind of arrangements we can
16 do.

17 With the merger we can serve the Modesto
18 market through the Sierra system through their
19 interconnection with PG and E, and depending on what
20 type of conditions PGE put on us, that could be a much
21 -- it could be a much more profitable market for the
22 company to serve going that way.

23 Q. Is this the only way for Water Power to
24 obtain these access and location in the marketplace
25 benefits to which you refer?

00338

1 A. Well, there again, with the BPA, we can
2 pretty much move our resources through the WSCC
3 system, but having the Sierra merger we're able to get
4 there at times quicker, more responsive. I think one
5 thing that's important in the wholesale market is the
6 responsiveness of the supplier to the purchaser's
7 needs and once you deal with the BPA they can be an
8 obstacle to responsiveness.

9 Q. So is the answer to my question, yes, that
10 this is the only way -- the merger is the only way for
11 Water Power to obtain these access and location to
12 marketplace benefits?

13 A. I would say it's not yes. We can get to
14 the markets through other utilities systems. What I'm
15 trying to point out in my answer is that we may get
16 there too late and the market may be gone and going
17 through Sierra will allow us to possibly hopefully be
18 more timely.

19 Q. Did Water Power study participating or the
20 possibility of participating in the third AC intertie
21 or the proposed southwest intertie projects?

22 A. We looked at the third AC, yes. And we
23 decided not to participate in the third AC.

24 Q. And why is that?

25 A. It was not cost effective for the company

00339

1 to do that.

2 Q. Did you run some studies before arriving at
3 that conclusion?

4 A. I don't know whether we -- I assume we did
5 run some studies. I did not see those studies.

6 Q. On pages 11 and 12 of your testimony, you
7 describe numerous nonfirm and short-term firm sales to
8 other utilities. Besides the northwest utilities that
9 you have listed, Water Power made several sales to
10 utilities in southern California and Arizona; is that
11 correct?

12 A. Yes.

13 Q. And on page 12 you list some purchases that
14 were made from southern California, Arizona and even
15 New Mexico; is that correct?

16 A. Yes.

17 Q. Through what interconnection were these
18 transactions generally made?

19 A. Now, are you referring to the ones in New
20 Mexico and Arizona or all of those in California?
21 Generally the California purchases are made using the
22 Pacific southwest intertie. Some of the purchases
23 that we made with the public service in New Mexico in
24 Salt River would have been delivered up through the
25 Pacific Utah system, or through transmission rights

00340

1 that the Arizona Public Service has on the Utah
2 Pacific system. Also -- and I don't know for sure
3 where all of these purchases went but we did make
4 purchases in the southwest to sell to other southwest
5 utilities using the transmission system of parties in
6 the southwest, what we would call a brokering
7 transaction. In other words, they were not delivered
8 to the Washington Water Power Company's service
9 territory.

10 Q. In your opinion, was timeliness essential
11 to the success of these particular sales?

12 A. Yes.

13 Q. On pages 14 and 15 of your testimony, you
14 describe in general terms Water Power's access to
15 other markets across the western interconnection.
16 These markets include the northwest, California,
17 Nevada, Arizona, New Mexico and the Rocky Mountain
18 area. Is that correct?

19 A. That's correct.

20 Q. At the bottom of page 15 and continuing to
21 the top of page 16, you state, "buyers and sellers of
22 wholesale electricity enjoy access to a robust market
23 for the purchased sale and exchange of firm and
24 economy energy." Do you see that?

25 A. Yes, I do.

00341

1 Q. Is Water Power, in your opinion, one of
2 these buyers and sellers that this statement refers
3 to?

4 A. Yes, we are.

5 Q. Please turn to page 18 of your testimony.
6 Strike that. Please turn to page 14 of your
7 testimony. There you address transmission access for
8 Water Power. You discuss how the company currently
9 obtains access to the regional grid to allow wholesale
10 transactions both within the northwest and throughout
11 the region, including California and the southwest.
12 You indicate at line 36 that "ease of access has
13 continued to improve." What do you mean when you say
14 that?

15 A. Utilities are beginning to open up their
16 systems.

17 Q. In your deposition testimony on pages 13
18 and 14 you address Sierra's Alturas transmission
19 project. Would Water Power benefit from Sierra's
20 construction of the Alturas line aside from the
21 merger, i.e., if it were not proposing a merger with
22 Sierra Pacific?

23 A. We might be able to benefit some, but with
24 the merger we would basically have full priority to do
25 exchanges in the sales and purchases at the Alturas

00342

1 interconnection. We would not have to compete with
2 other utilities.

3 Q. What is your understanding of Sierra
4 Pacific's involvement in the proposed southwest
5 intertie project?

6 A. I am not familiar with their involvement,
7 other than the fact that I knew they were in a
8 communication loop on that, but you ought to direct
9 that question to Mr. Canning.

10 Q. Just a moment ago you indicated that Water
11 Power will experience additional wholesale and
12 wheeling revenues from the merger. Is it your
13 understanding that revenues associated with
14 wholesaling for each division under the merged company
15 and related costs will be directly assigned?

16 A. That's my understanding. I think an
17 example of where we might see additional wheeling
18 revenues on the Water Power system would be if indeed
19 we become an alternate path to Bonneville to deliver
20 energy to Pacific Gas and Electric through the
21 interconnection between PG and E and Sierra.
22 Northwest parties might use this route rather than BPA
23 and we would be able to siphon some of those BPA
24 revenues off to both Water Power and Sierra.

25 Q. For Water Power one component of the

00343

1 production-related benefits attributed to the merger
2 is avoided wheeling expense which would contribute to
3 increased margins on nonfirm wholesale sales; is that
4 correct?

5 A. Yes, that's correct.

6 Q. According to Mr. Canning's direct testimony
7 on pages 31 and 32 these savings were estimated to
8 amount to about \$1.8 million per year or about \$16.2
9 million over a 10-year period for Water Power. Would
10 you accept those figures subject to check?

11 A. Yes, I would.

12 Q. In Mr. Canning's testimony the avoided
13 wheeling expense is based on 600 GHW per year of
14 nonfirm sales by Water Power. Are these sales into
15 California or the southwest or sales to the Sierra
16 Pacific division or do you know?

17 A. I think I know. They were based on FERC
18 data, and I don't know whether that's form 1 or form
19 2, over the period 1988 through 1993, and the heading
20 on the column of data that I'm looking at I believe
21 was on Mr. Canning's work paper was called class O S
22 California, so I assume that those were deliveries
23 that we made over the Pacific southwest intertie to
24 California utilities, and the 600 gigawatt hours was
25 the average of the deliveries we made over that

00344

1 six-year period.

2 Q. Is the assumed point of delivery the
3 northern end of the Alturas project?

4 A. Yes.

5 Q. Would wheeling services be required -- at
6 that point would any wheeling services be required to
7 ultimately move the energy to California or southwest
8 utilities?

9 A. Yes. We would be required to pay BPA a
10 southwest intertie rate. I believe in their rate
11 schedules that's referred to as an IS rate.

12 Q. Staff data request 148 requested an update
13 on the status of negotiations for acquiring
14 requirements for an interconnecting transmission link
15 between Water Power and Sierra power operating
16 divisions. Do you recall that?

17 A. Yes, I do.

18 Q. In your response to data request 148C
19 designated confidential we were told that letter
20 agreements for the transmission service between Water
21 Power and Sierra Pacific were expected to be finalized
22 in February 1995. Do you recall that?

23 A. Yes, sir, I do.

24 Q. And they were provided to staff today. Are
25 you aware of that?

00345

1 A. Yes, I am.

2 MS. JOHNSTON: Your Honor, like to have all
3 three of these marked as the same exhibit, please.

4 MR. MEYER: This will help I think
5 understand what she just passed out.

6 JUDGE CANFIELD: For the record Ms.
7 Johnston just passed around three separate documents,
8 and you're requesting they be marked as a single
9 exhibit? Is that correct, Ms. Johnston?

10 MS. JOHNSTON: That's correct.

11 JUDGE CANFIELD: And one of them, the
12 requests No. 148 C, it indicates some confidential
13 information. What's the status on that, Mr. Meyer?

14 MR. MEYER: Oh, I see. Here's that part of
15 it. I missed that part. Take a look at it. It may
16 not be a problem.

17 That is fine. It's no longer confidential.

18 JUDGE CANFIELD: With that understanding so
19 indicated on record, that will be marked as a single
20 exhibit, Exhibit No. 80.

21 MR. MEYER: If I might have marked what I
22 just handed out. It's a companion exhibit which helps
23 describe or it helps summarize what's in Exhibit 80.
24 If I can have my submission marked for identification
25 as 81.

00346

1 JUDGE CANFIELD: That's the one containing
2 the map?

3 MR. MEYER: Right.

4 JUDGE CANFIELD: I will mark that as the
5 next one in order as well and that is Exhibit No. 81.

6 (Marked Exhibits 80 and 81.)

7 Q. Mr. Bryan, you've just been handed what's
8 been marked for identification as Exhibit 80. Would
9 you please describe them.

10 A. Excuse me, I was looking at the map here.
11 Is Exhibit 80 the contracts?

12 Q. Do you recognize what comprises Exhibit 80
13 as being, number one, your response to staff data
14 request No. 148, your response to staff data request
15 designated as 148C, and behind those two data requests
16 responses we see three letter agreements which were
17 provided to staff this morning. Do you recognize
18 these documents?

19 A. Yes, I do.

20 Q. They were prepared by you or at your
21 direction or under your supervision or control?

22 A. Yes, they were.

23 Q. The first two, the contracts of course were
24 directed by the management of Sierra Resources as
25 well as the Washington Water Power Company because

00347

1 they do include joint contracts between Bonneville and
2 Sierra and the Washington Water Power company?

3 A. Yes.

4 MS. JOHNSTON: Move the admission of
5 Exhibit 80.

6 JUDGE CANFIELD: Any objection?

7 MR. MEYER: No objection.

8 JUDGE CANFIELD: So entered.

9 (Admitted Exhibits 80.)

10 MR. MEYER: If I might also at this point
11 ask if he is familiar with Exhibit 81 so marked?

12 THE WITNESS: Yes, I am.

13 MR. MEYER: Was that prepared by you or
14 at your direction?

15 THE WITNESS: No, not prepared by me or at
16 my direction. Perhaps done by Mr. Canning.

17 MR. MEYER: You're familiar with the
18 contents?

19 THE WITNESS: Yes, I am.

20 MR. MEYER: And you know the contents to be
21 true and correct?

22 THE WITNESS: Yes, I do.

23 MR. MEYER: Also move the admission of
24 Exhibit 81.

25 JUDGE CANFIELD: Any objections to 81?

00348

1 MS. JOHNSTON: I have no objection, Your
2 Honor, with the understanding that staff of course has
3 not had an opportunity to analyze or even read the
4 letter agreements, given that they were provided to
5 staff only this morning but beyond that I have no
6 objection to what's contained in Exhibit 81.

7 MR. MEYER: Very well. I should note just
8 on the timing issue, these letter agreements, there's
9 certainly no intent to hide these from staff. They
10 were virtually executed in the last couple of days and
11 so we brought them with us. I think one was just
12 executed yesterday so these are very timely and very
13 recent, so no attempt to prevent staff from their
14 view.

15 JUDGE CANFIELD: The dates of the letter
16 agreements for the record are January 12, 1995,
17 February 3, 1995 and February 6, 1995. 81 so entered
18 into the record as well.

19 (Admitted Exhibit 81.)

20 Q. Mr. Bryan, according to your response to
21 148C which is a part of 80, the price of a
22 transmission link is not expected to have a
23 significant impact on estimated merger benefits; is
24 that true?

25 A. That's correct.

00349

1 Q. Mr. Canning's testimony addresses the issue
2 of pricing for this link. In determining expected
3 merger benefits the price for the link was subtracted
4 from total capacity-related savings; is that correct?

5 A. Yes.

6 Q. Do you know or have an opinion on how the
7 cost for the interconnecting transmission link will be
8 allocated between the Water Power and Sierra Pacific
9 divisions or is that a question I should ask of Mr.
10 Buergel?

11 A. You should ask that of Mr. Buergel.

12 Q. In your response to staff data request 97,
13 which is Exhibit 76, you state that Water Power has
14 always viewed its transmission system as a way to
15 increase revenues. Do you have an opinion on whether
16 Sierra Pacific has or shares a similar philosophy?

17 A. I think you ought to ask Mr. Canning that
18 question. My understanding of the Sierra system is
19 that they just haven't had an awful lot of opportunity
20 to use their transmission system because of internal
21 limitations. Although they do use their
22 interconnection through Valmy almost on a fully loaded
23 daily basis to import economy purchases from the
24 northwest.

25 Q. In your opinion, would the merger impact

00350

1 the Water Power's philosophy which we just discussed,
2 that is, Water Power's use of the transmission system
3 to increase revenue?

4 A. No, it would not.

5 Q. Does the merger with Sierra Pacific and the
6 commitment of transmission facilities in capacity to
7 support the merger have any negative reliability
8 implications on Water Power's transmission system in
9 support of either wholesale or retail service,
10 including distribution, in your opinion?

11 A. No. We have more than enough adequate
12 transmission to be able to do the necessary
13 transactions to implement the savings on the
14 production side.

15 Q. During your deposition, you testified that
16 Water Power's transmission pricing is driven by the
17 market. Do you recall that testimony?

18 A. Yes, I do.

19 Q. At page 47 of your testimony, prefiled
20 direct testimony -- excuse me, deposition -- you
21 address market pricing for transactions between Water
22 Power and Sierra Pacific. Under the merged company,
23 will transmission services between divisions be priced
24 based on the market for those services?

25 A. Let me give you an example and see if the

00351

1 example I give you in the form of a question is what
2 you're asking. If Sierra division had some surplus
3 energy and they wanted to sell that to, let's say,
4 Montana Power and Light, Montana Power Company, and in
5 order to get to Montana they had to use the Water
6 Power division transmission system, would we price the
7 Water Power transmission system or provide a transfer
8 price on our transmission system to the Sierra
9 division? Would that be the question.

10 Q. That's a good example, yes?

11 A. Yes. We would put a value and a price on
12 our transmission system and that would be a credit to
13 the Water Power division.

14 Q. When will a proposal for how to track
15 market pricing between Water Power and Sierra Pacific
16 divisions be available?

17 A. I cannot answer that question. I do not
18 know. I think it would be something that we would
19 work with the staff to be able to develop that as soon
20 as we could.

21 Q. Does any other witness in the case know the
22 answer to that question, to your knowledge?

23 A. You might talk with John Buergel about
24 that. He may have had some discussions internally on
25 that particular issue.

00352

1 Q. As of today, does Washington Water Power
2 expect to become a member of any regional transmission
3 groups?

4 A. Yes. We are interested in both the
5 Northwest Regional Transmission Group as well as the
6 West Wide Transmission Group.

7 Q. Do you believe there are benefits to Water
8 Power and its ratepayers through participation in
9 RTGs?

10 A. The Washington Water Power Company does
11 believe that. We're looking at it very carefully. We
12 are supporting both of those efforts. Being a major
13 player in the wholesale market, my view of the future
14 is that regional transmission groups are organizations
15 that we want to be a part of and that we want to
16 shape.

17 Q. In your opinion, would there be similar
18 benefits to Resources West in participation in the
19 RTGs?

20 A. Without knowing in detail the issues
21 internal to the Sierra division operations, I guess I
22 would need to withhold that and of course based on
23 Walt Higgins's testimony yesterday, with what little I
24 do know it would be my recommendation to Resources
25 West Energy that we do participate in a regional

00353

1 transmission group.

2 JUDGE CANFIELD: For the record, Ms.
3 Johnston has just distributed two documents and
4 requested they be marked as the same exhibit, and this
5 will be marked as the next exhibit number in order,
6 that being Exhibit No. 82 for identification, and
7 those are requests No. 143 and request No. 143
8 supplemental C and E.

9 (Marked Exhibit 82.)

10 Q. Mr. Bryan, you've just been handed what's
11 been marked as Exhibit 82 for identification. Do you
12 recognize Exhibit 82 as company's response to staff
13 data request No. 43?

14 MR. MEYER: 143.

15 Q. Excuse me. 143 and 143 supplemental?

16 A. Yes, I do.

17 MS. JOHNSTON: Your Honor, I move the
18 admission of Exhibit 82.

19 JUDGE CANFIELD: Any objections?

20 MR. MEYER: No objection.

21 JUDGE CANFIELD: Exhibit 82 is so entered
22 into the record.

23 (Admitted Exhibit 82.)

24 Q. Like to direct your attention first to the
25 company's response to staff request 143. Is it true

00354

1 that a detailed plan for consolidated DSM activities
2 has not been completed yet?

3 A. Yes, that's correct.

4 Q. And is it expected that the consolidation
5 plan will be completed sometime in mid March?

6 A. Yes, that's correct.

7 Q. And is that also a part of the famous March
8 13 transition team report that we've heard so much
9 about?

10 A. Yes, it is.

11 Q. So it's true, then, that the company's
12 estimate of a 21 employee reduction was made absent
13 any consolidation plan?

14 A. Yes. I believe it was made from Deloitte
15 Touche's analysis along with Water Power staff at the
16 time that we were estimating the merger benefits.

17 Q. In response to staff data request 143
18 supplemental, you state that "since the analysis was
19 performed the wrap-down in Washington Water Power DSM
20 acquisition has been approved and reductions in
21 staffing have been implemented." Is the analysis to
22 which you refer there the analysis determining the 21
23 employee reduction estimate?

24 A. I believe that's correct, but you probably
25 ought to just check with John Buergel to make sure.

00355

1 MR. MEYER: I might suggest Mr. Flaherty as
2 well.

3 Q. Referring to that same response, what
4 reductions in staffing have already been implemented?

5 A. I cannot answer that. We can provide you
6 that information, but I don't know the numbers.

7 Q. Well, I would like to have that
8 information, please, as the next record requisition in
9 line.

10 JUDGE CANFIELD: No. 15.

11 (Record Requisition 15.)

12 MS. JOHNSTON: Thank you.

13 Q. Like to direct your attention now to part C
14 of your response to staff data request No. 143. You
15 state that the 21 employee reduction estimate amounts
16 to savings of \$14.2 million over a 10-year period and
17 that "these savings result primarily from elimination
18 of "redundant and duplicative activities." Can you
19 identify what is meant by the words redundant and
20 duplicative activities?

21 A. That's similar type of work that we're
22 doing that they're doing that can be done with less
23 people and achieve the same work product.

24 Q. Can you identify them for us?

25 A. No, I cannot.

00356

1 Q. Are you capable of identifying them for us?

2 A. No, I am not.

3 MR. MEYER: I might --

4 Q. Whom shall I ask?

5 MR. MEYER: I might note that in response
6 to request that's not of record, request No. 144, we
7 tried to break out by witness which of our witnesses
8 would handle which type of DSM questions. And just
9 sort of as a road map, Les would respond more on the
10 resource side the need for DSM on behalf of Water
11 Power as well as Resources West. Mr. Canning would do
12 the same with respect to general resource issues and
13 how DSM fits into that on behalf of Sierra as well as
14 Resources West, and DSM or rate accounting issues
15 would be for Mr. Buergel, and also I should note that
16 Mr. Flaherty, as the originator of certain estimates
17 on DSM employees and savings attendant thereto, could
18 respond to those type of questions. So that's the
19 general breakout of how we've assigned DSM
20 responsibility in this case.

21 MS. JOHNSTON: Doesn't address my question,
22 though. None of the witnesses that you identified in
23 your response to our request No. 144 is apparently
24 capable of answering this question.

25 MR. MEYER: And I mean to be helpful.

00357

1 Could you restate your question again.

2 MS. JOHNSTON: Certainly.

3 Q. In response to part C of our data request,
4 No. 143, it's indicated that the 21 employee reduction
5 estimate amounts to savings of \$14.2 million over a
6 10-year period.

7 MR. MEYER: That would be Mr. Flaherty, and
8 he is also identified as one of the witnesses
9 responsible, and certainly on sub item C he would be
10 the right witness.

11 MS. JOHNSTON: I will ask him tomorrow
12 morning then. Thank you.

13 Q. In that same subsection, Mr. Bryan, you
14 state that the savings also result from "the overall
15 reduction in DSM effort anticipated and required in
16 the future for the combined companies." Can you
17 describe what is meant by anticipated and required
18 reduction in DSM effort or shall I ask Mr. Flaherty
19 that question as well?

20 A. Can you direct me to where you're at, Ms.
21 Johnston.

22 Q. Subsection C. Third sentence. And the
23 third sentence begins with the words, "these savings
24 result primarily."

25 Q. Yes.

00358

1 A. I would be speculating on that, but my
2 speculation is that it reflects the wrap-down of the
3 very intensive DSM efforts we've had over the last
4 two, two and a half years, to what we are currently
5 expecting in 1995 and 1996 by the time that the merger
6 takes effect.

7 Q. By who was the reduction required?

8 A. Pardon?

9 Q. Who is requiring the reduction in DSM
10 effort?

11 A. The reduction in DSM efforts is required
12 because we now have no resource need. We were very
13 successful in our DSM efforts over the last two and a
14 half years and we received an order from this
15 Commission to down scale that program at the company's
16 request, and that new program will require less
17 people.

18 Q. In that same subsection you go on to state
19 that "additional savings are expected to occur in the
20 nonlabor portion of DSM activities but have not
21 currently been quantified." Do you see that?

22 A. Yes.

23 Q. Can you identify what those nonlabor
24 savings will include?

25 A. No, I cannot. Those should be referred to

00359

1 Mr. Flaherty.

2 MS. JOHNSTON: That's all I have, Mr.

3 Bryan. Thank you.

4 JUDGE CANFIELD: Mr. Trotter, questions for

5 Mr. Bryan?

6 MR. TROTTER: Yes.

7

8 CROSS-EXAMINATION

9 BY MR. TROTTER:

10 Q. First of all, your wrap-down in DSM was

11 not required by this Commission, was it?

12 A. No. It was not required. It was

13 recommended by the company and the Commission adopted

14 our recommendation.

15 Q. And that's in the order approving your

16 tariff filing?

17 A. Yes, that's correct.

18 Q. So whatever words the Commission said in

19 that order that's what you're relying on for your

20 testimony?

21 A. Yes.

22 Q. With respect to -- you were asked some

23 questions about the transfer price. If Sierra -- the

24 Sierra division -- is provided power from Water Power

25 system it would be at market rates; is that right?

00360

1 A. That's correct.

2 Q. And the transfer price issue is the rate at
3 which that transaction will be priced?

4 A. That's correct.

5 Q. And you don't have a policy on how you're
6 going to compute that at the current time; is that
7 right?

8 A. No. We have a lot of data available to be
9 able to help us set that price, but we have not
10 finalized the methodology.

11 Q. Just in the next -- do you know when -- and
12 you said you don't know when it's going to be
13 finalized?

14 A. No, I do not.

15 Q. As response to record requisition 16 if you
16 could provide a copy of that transfer price policy
17 when it is established between the companies.

18 JUDGE CANFIELD: That's record requisition
19 No. 16.

20 (Record Requisition 16.)

21 A. We will attempt to respond to that, Mr.
22 Trotter. I would need to talk internally with those
23 that are working on that, and we will provide you some
24 type of response. Whether we will indeed have the
25 policy developed soon, I cannot -- I do not know.

00361

1 Q. Now, with respect to integrated resource
2 planning, you expect to do that on a total company --
3 total merged company basis recognizing the
4 requirements of each state's jurisdictions may require
5 different types of reporting but it will be done on
6 a consolidated basis?

7 A. Yes. That's our initial intent.

8 Q. What will be the impact of the merger on
9 avoided cost compared to Water Power's current avoided
10 cost?

11 A. I haven't really given that much thought.
12 We may end up having separate divisions of avoided
13 costs. We would have to think about that.

14 Q. That hasn't been addressed at this point?

15 A. No.

16 Q. And with respect to resource planning, you
17 indicated in the prior response that the transmission
18 connections between the two companies are not -- I
19 forget what word you used but they're not significant
20 at this time so it would be unlikely, I take it, that
21 a power plant or a resource would be sited in
22 Washington for benefit of the Nevada jurisdiction?

23 A. I think that would be highly unlikely, yes.

24 Q. But if that did occur, the costs of that
25 facility would be allocated to Nevada?

00362

1 A. I can't answer that for sure. What I can
2 assure the Washington Water Power division is that we
3 will not be allocating costs to serve growth in the
4 Nevada division to Washington ratepayers.

5 Q. Now, if you're doing your planning on an
6 integrated basis, a total company basis, I take it
7 nonetheless you will be looking at the need for
8 resources, the Water Power division versus the Sierra
9 division; is that right?

10 A. Yes.

11 Q. But the siting of that facility and the
12 type of facility that might be needed will depend on
13 many factors and -- would that be correct?

14 A. And I think transmission will be probably
15 one of the major driving forces in determining the
16 type of resource.

17 MR. TROTTER: Your Honor, I have a
18 multi-page exhibit I would like to have marked for
19 identification. It's company's response to public
20 counsel request 305. I would note the original was
21 color coded. I was going to have the original
22 provided as the original document, but I don't have it
23 right on me so perhaps I can substitute it later.

24 JUDGE CANFIELD: Okay. That will be marked
25 for identification as Exhibit No. 83.

00363

1 (Marked Exhibit 83.)

2 Q. Do you recognize Exhibit 83 for
3 identification as your response to our data request
4 305?

5 A. Yes, I do.

6 Q. And that asked you to provide any document
7 that addresses one or both company's individual
8 position vis-a-vis actual or potential competition
9 from other retail wholesale providers of electric or
10 natural gas utility service.

11 A. Yes.

12 Q. And turning to the second page of the
13 exhibit, you provide Water Power's view on retail
14 wheeling; is that right?

15 A. That's correct.

16 Q. And the next page is Sierra's view --
17 Sierra Pacific's view of that subject?

18 A. Yes.

19 Q. And then the next page, Project Sand
20 Strategic Issues, outline of regional competition. It
21 does contain a privileged and confidential
22 designation, but that should be disregarded, is that
23 right, in terms of being provided pursuant to the
24 confidentiality agreement; is that right?

25 A. I will have to address that to Mr. Meyer.

00364

1 MR. MEYER: I'm sorry, I missed the last.

2 Q. The fourth page of the exhibit does contain
3 a privileged and confidential designation. It's my
4 understanding that that is not being asserted pursuant
5 to the protective order in this case.

6 MR. MEYER: That's correct.

7 Q. So that the remainder of this document is
8 apparently a study that the company did on regional
9 competition?

10 A. Yes, I believe it is. I think it was
11 presented to our board of directors.

12 Q. Apologize for not numbering the pages but
13 turning to the page after that cover sheet on the
14 outline of regional competition. You show 10
15 utilities that, I take it, in Water Power's opinion
16 are competitors in the region?

17 A. Yes.

18 Q. Now, Mr. Redmond, Tuesday, I believe,
19 indicated that Sierra Pacific is in a different region
20 or different market really than Water Power competing
21 mainly in the southwest and California. Are there any
22 southwest or California utilities listed on this
23 sheet?

24 A. Yes, there are.

25 Q. And which would those be? Southern Cal

00365

1 Edison?

2 A. Southern Cal Edison, Pacific Gas and
3 Electric Company, Nevada Power.

4 Q. What is the southwest, in your opinion?
5 What states comprise the southwest?

6 A. Southwest would be Arizona, New Mexico.

7 Q. And which of these utilities have rates in
8 those states?

9 A. None of those do.

10 Q. Now I would like you to turn toward the
11 very end, if we can go to the back page of the exhibit
12 and count forward. Well, actually does have numbered
13 pages toward the back. We could go to pages 11 and 12
14 as they are numbered, and page 11 is an analysis of
15 industrial contribution at risk in a competitive
16 environment and it shows Water Power being in the low
17 risk and Sierra Pacific being in the significant risk
18 category, correct?

19 A. Yes, that's correct.

20 Q. Now, upon merger, do you anticipate Water
21 Power -- let me ask a threshold question. These are
22 premerger relationships; is that correct?

23 A. Yes. I think these are based on their
24 current rates.

25 Q. And do you anticipate Water Power on a post

00366

1 merger basis, the Water Power division, to move lower
2 into the lower risk category or higher into a
3 different category or the same category?

4 A. I expect us to remain in the low risk
5 category, hopefully moving to the left.

6 Q. And what about Sierra?

7 A. I would expect that under the merger that
8 the Sierra triangle would move toward the moderate
9 risk area.

10 Q. Now, this is obviously a subjective
11 assessment; is that right?

12 A. Yes.

13 Q. And so there's no way we can replicate this
14 post merger other than to apply the same type of
15 subjectivity; is that correct?

16 A. No. I think the way you could look at it
17 post -- you mean as far as an analytical assessment
18 right now? There's no way that you can replicate that
19 other than taking the merger benefits and trying to
20 allocate them by customer class which --

21 Q. Let me try it again. Assume the merger is
22 approved and three years from now we want to do this
23 chart, we just have to apply the same type of
24 subjectivity that went into this chart or not?

25 A. Well, this was prepared by a consultant, is

00367

1 my understanding, as I recall, and he categorized the
2 various companies in these four quadrants, and I would
3 think that using the same analysis, which really was
4 just an analysis of retail rates to the industrial
5 group, and three years from now you could see where
6 these companies have gone, and I would hope that as a
7 result of the merger in three years that the Sierra
8 division triangle would be moving toward the moderate
9 risk quadrant.

10 Q. And that implies that its industrial rates
11 would be going down relative to other companies?

12 A. Relative to the others.

13 Q. Now, both Water Power and Sierra were in
14 the regional competitor categories on an earlier page,
15 right?

16 A. Yes, that's correct.

17 Q. Do you consider Water Power a competitor to
18 Sierra Pacific?

19 A. Yes.

20 Q. And you compete with them for wholesale
21 sales?

22 A. We do compete with them for some wholesale
23 sales, yes.

24 Q. Do you consider them a major competitor?

25 A. No.

00368

1 Q. Turn to the next page, page 12, and here is
2 the company's position to aggressively pursue
3 industrial customers. Water Power is a moderate
4 opportunity and Sierra is a little opportunity. Is
5 that right?

6 A. Yes, that's correct.

7 Q. Do you agree with the analysis that is
8 portrayed in this report?

9 A. I haven't really sat down and analyzed it,
10 Mr. Trotter.

11 Q. Do you know what the company's position is
12 with respect to this report as do they agree with it
13 or disagree with it?

14 A. I do not know.

15 MR. MEYER: If this proves helpful, Mr.
16 Flaherty, who will be here tomorrow, was actively
17 involved in preparing this with Deloitte and Touche.
18 I know he's not the designated witness here.

19 MR. TROTTER: He's also not a company --
20 I'm sorry, okay.

21 A. I mean, my views of serving industrial
22 loads, I think we've had a lot of discussions in the
23 industry about it. It's been, in my view, somewhat
24 academic at this point. The marginal cost of new
25 resources to serve new load is pretty much the same

00369

1 for all of us.

2 MR. TROTTER: Your Honor, I don't know if
3 there was a question pending.

4 JUDGE CANFIELD: Okay. Your next question
5 then, Mr. Trotter.

6 MR. TROTTER: Did I move the admission of
7 Exhibit 83?

8 JUDGE CANFIELD: No, you have not.

9 MR. TROTTER: Move the admission.

10 JUDGE CANFIELD: Any objection?

11 MR. MEYER: No.

12 MR. TROTTER: That completes my questions.

13 JUDGE CANFIELD: Exhibit 83 is so entered
14 into the record.

15 (Admitted Exhibit 83.)

16 JUDGE CANFIELD: Commissioners, questions
17 for Mr. Bryan?

18 CHAIRMAN NELSON: Couple.

19

20 EXAMINATION

21 BY CHAIRMAN NELSON:

22 Q. Mr. Bryan, at page 9 of your testimony, the
23 paragraph beginning at line 4, something really leaped
24 out at me, and it may be that I just don't understand
25 the wholesale market very well. First of all, with

00370

1 respect to your existing transmission agreements, are
2 they at some point in time approved by the FERC?

3 A. Yes, they are.

4 Q. So the rates in them are scrutinized and
5 approved?

6 A. That's correct.

7 Q. Why does FERC approve Water Power rates
8 that are below cost of transmission?

9 A. Generally FERC is willing to approve rates
10 that are below fully allocated cost. Their test is at
11 the ceiling. They do not want to see us charge more
12 than what our fully allocated costs are and because on
13 our transmission business we're operating in a very
14 competitive environment, our rates for transmission
15 are set at the market which is below our fully
16 embedded cost.

17 Q. And that's I guess now a result of history?

18 A. Yes.

19 Q. In a competitive market -- and I guess I'm
20 trying to imagine the future where there's competition
21 in the generation markets and maybe in the future in
22 transmission markets between some rather large actors.
23 And I guess you would say as long as, or FERC would
24 say, as long as your transmission rates are above
25 somebody's incremental cost that it's not an

00371

1 anticompetitive rate. Is that what I should
2 understand?

3 A. Why don't you ask me that one more time and
4 I will see if I got it.

5 Q. Well, in a competitive market -- again I'm
6 not an antitrust lawyer or economist, maybe I should
7 let Commissioner Gillis ask these questions, but it
8 seems to me you can't have below cost pricing for very
9 long without having the Department of Justice or the
10 Federal Trade Commission or the FERC getting concerned
11 about below cost pricing. However, given history and
12 embedded cost being higher than new incremental cost,
13 perhaps there is an antitrust standard lurking in this
14 state method. I don't quite understand.

15 A. Well, you know, traditionally utilities
16 built their transmission systems to serve their retail
17 loads and to move their energy and capacity from their
18 resources to their retail customers. And then when we
19 found out there were a lot of times on that
20 transmission system we had capacity that we could make
21 available for a wholesale transaction, so then what
22 we have done is we have -- Water Power has made an
23 attempt to market that unused capacity when it's
24 available from time to time and then credit those
25 revenues back to our customers, so the marginal cost

00372

1 on our transmission system to serve a wholesale
2 customer is awfully close to zero. Now, if we wanted
3 to restrict or inhibit the movement of power around
4 our system what we would want to do is price our
5 transmission costs as high as we could so nobody would
6 use them and we would basically have wholesale markets
7 captive to our resources, and a lot of utilities have
8 done that in the past, and that's been one of the
9 complaints that I have had is the pancaking of
10 transmission charges which really inhibits the
11 movement of resources around the WSCC grid. Water
12 Power took a position that we were going to view our
13 transmission system as a profit center and when it
14 wasn't being used we were going to go out and see if
15 we could find somebody to use it, and in order to
16 bring customers on to our transmission system we had
17 to provide that use at the market, and our biggest
18 competitor of course is the Bonneville Power
19 Administration.

20 Now, I'm talking a lot about nonfirm or
21 short-term firm transactions. When we get into
22 long-term transactions then we're talking a different
23 kind of a story and we're very uncomfortable with
24 making long-term firm transmission services available
25 unless we can recover full embedded costs or even

00373

1 perhaps future costs of adding incremental
2 transmission. I don't know if that helps.

3 Q. It's helping. It's helping. I guess it's
4 just getting ready for competition and trying to go
5 from the old paradigm to the new paradigm that some of
6 these new transmission issues are going to be
7 important and it's just been sort of an intuition of
8 mine that the transmission owners are going to be in a
9 very enviable position in future more competitive
10 markets. And again, trying to define what the market
11 is, whether it's generation markets, transmission
12 market or distribution markets, somehow competitive,
13 each of those market segments of course is going to be
14 something that's going to go into our market analysis.
15 So I think now I understand the nature of the
16 question, I mean, the nature of the answer to that
17 question at that page.

18 At page 16 the question and answer starting
19 at page 4 again sort of reflects the past. It seems
20 to me that the transmission grid has been planned
21 using a one utility philosophy. And my question here
22 is how long is that philosophy sustainable? In a more
23 competitive era are owners of these different segments
24 of the grid going to want to coordinate and cooperate
25 or are they going to look for ways to leverage their

00374

1 asset?

2 A. My view is that the regulators will require
3 us to continue to expand our transmission system on a
4 one-utility philosophy. We may have to become more
5 creative in pooling our transmission facilities and
6 developing transmission companies which individual
7 utilities have ownership in. Those are some concepts
8 that are being looked at right now. But to build a
9 redundant transmission with right-of-way being so
10 critical to acquire these days, I just don't think
11 it's going to happen. But I do think what I mentioned
12 just a minute ago, that pooling approach to
13 transmission and developing transmission companies
14 where Water Power would have a certain stock ownership
15 in that company is something that might develop in the
16 future and that can be spun out of the RTG concept. I
17 see the regional transmission groups as kind of the
18 next step for the utility industry as we move into
19 this competitive environment and probably a step
20 beyond that.

21 CHAIRMAN NELSON: Thank you. I don't
22 know what else to ask.

23

24 EXAMINATION

25 BY COMMISSIONER HEMSTAD:

00375

1 Q. Well, this really is a follow-on to the
2 questions that the chairman asked. In Exhibit 76,
3 which is your response to request No. 97, in the last
4 paragraph response says, "to keep itself on a
5 competitive edge WWP has filed an open access
6 transmission tariff with FERC in order to provide
7 service to those who have a need. WWP will continue
8 to do what is necessary to meet the future challenge
9 in a cost effective way." An open access transmission
10 tariff now along with FERC's requirements for
11 comparability, how does that square with your
12 testimony on page 9 and then your response to
13 chairman's question with regard to pricing below your
14 fully embedded cost? Don't you have to price, in this
15 new environment, price your transmission equivalently
16 for others as how you would price for yourself or am I
17 getting it all mixed up here?

18 A. No. The comparability issue I think is
19 something we're all trying to understand and we're not
20 sure that the FERC understands it. My understanding
21 of it is that I can't charge a wholesale customer more
22 than I am charging my retail customers. I'm not sure
23 it deals with the issue of whether I can charge a
24 wholesale customer less if the competitive market
25 requires that. My view is that you not only have a

00376

1 competitive market on the resource side but you also
2 have a competitive market for transmission services.
3 And I want to be able to compete in both of these
4 areas.

5 And I am trying to understand if the FERC
6 thinks the competition is really only on the
7 production side -- I think it's on both, transmission
8 as well as production. So what I wouldn't want to do
9 is to be stuck with having to charge fully embedded
10 cost to my people -- to people who wanted to use my
11 transmission and then have my transmission sit idle
12 while the BPA's is fully loaded. I don't think that's
13 the right thing for my retail customers. Now, whether
14 comparability works in resource, that I don't know.
15 Do the state commissions view competitive pricing for
16 wholesale transmission as something that's being okay.
17 We think you do think it's okay because if we don't
18 we're out of the market.

19 Q. I was going to ask you a question. I
20 suspect I know how you will answer it, but the
21 question -- I will ask it -- was with open access and
22 the comparability and the development of the RTGs,
23 which come I assumed had the objective of eliminating
24 bottlenecks and getting the pricing equivalency for
25 transmission, isn't there then a reduced need to look

00377

1 to mergers and acquisitions as a way to get a leg up
2 in the transmission market?

3 A. I think where the complexity will come in
4 is how you structure the contracts. We've -- I've
5 used an example of the mid Columbia hourly
6 coordination agreement. When we put that together,
7 seems like hundreds of years ago, the big issue was
8 how we allocate the benefits between the various
9 projects that participated in the hourly coordination
10 agreement and we ended up letting the benefits fall
11 where they may. I think the biggest stumbling block
12 as RTGs get heavily into the commercial aspects of
13 moving the power around the grid will be the
14 allocation of benefits issue. I don't think that's
15 going to come very easy so I'm tending to think more
16 along the lines of some type of pooling arrangement.
17 Will pooling arrangements reduce the need for mergers?
18 It probably, if it's structured right, could take away
19 some of the benefits that mergers currently are
20 allowed to capture, but I don't think it will
21 eliminate all of the reasons that companies need to
22 get together.

23 Q. There can be other reasons for mergers, I
24 understand, but I was focusing on the transmission
25 side of it.

00378

1 A. Yes. I think there are commercial
2 arrangements that potentially could be structured in a
3 way so that you wouldn't need to have a merger to
4 capture those transmission benefits, but then you get
5 lawyers helping you craft contracts and I've had
6 difficult experiences with that trying to get
7 something that everybody can agree to. Nothing
8 against lawyers, though.

9 MR. MEYER: Or any in this room.

10 Q. I was surprised at your response to the
11 question -- your response on the issue of RTGs that
12 Water Power you would see joining but Sierra Pacific
13 not. Will you have that choice? After all, you're a
14 single company. How are you going to be separate
15 entities for RTG purposes?

16 A. I think the response of Mr. Higgins
17 yesterday was that he didn't know whether Resources
18 West would join, and my response today was from my
19 experience and with the need to be an active player in
20 the wholesale market, I believe, is the line of
21 business for Resources West Energy. Without knowing
22 the concerns that Sierra has in detail, I would
23 probably recommend to Mr. Higgins that Resources West
24 Energy participate in regional transmission groups.

25 Q. I see. So the company itself?

00379

1 A. Yes.

2 Q. Unified company?

3 A. Yes.

4 Q. And not the separate divisions?

5 A. Yes.

6 Q. With regard to your wholesale activities,
7 actually I asked this question yesterday, you appear
8 to have done an excellent job of squeezing the last
9 mill or two out of the wholesale transactions to the
10 benefit of Water Power. You will be selling that
11 wholesale Water Power resources to Sierra Pacific.
12 What is the incentive to you to continue to try to get
13 that last mill?

14 A. We made a decision in our company about
15 four or five years ago where our wholesale business
16 would be one that would remain within the utility in
17 order to keep our retail rates down, because serving
18 the retail customers is where our business is, and in
19 the discussions I've had with Paul Redmond and Walt
20 Higgins I see no difference in their views on that
21 into the future, and so we will continue to focus on a
22 growing wholesale marketing business to provide
23 benefits from that business back into the Sierra
24 division and the Water Power division to maintain rate
25 stability and reduce our rates relative to the

00380

1 competition.

2 Q. But in this environment it will be the
3 left hand dealing with the right hand not with an
4 independent third party transaction. Won't that
5 change your incentives?

6 A. I don't think so. I think the incentive
7 will still be the same.

8 Q. That's all I have.

9

10 EXAMINATION

11 BY COMMISSIONER GILLIS:

12 Q. In response to I think Ms. Johnston's
13 questioning you made a statement that transmission
14 between WWP territory and Sierra service territory is
15 a limitation. I think that's what I heard you say?

16 A. Yes.

17 Q. Could you comment upon that more? What is
18 the limitation?

19 A. Well, what we have done in the merger is
20 contracted for 200 megawatts of transmission which
21 allows us to achieve the production benefits that we
22 have outlined in our merger testimony. As we move to
23 the future and the Sierra division grows, we will have
24 transmission limitations as far as what parts of the
25 WSCC system we can reach out and grab resources that

00381

1 might make sense to meet that load growth, and that's
2 been the issue that Sierra has been dealing with prior
3 to the Alturas line. They're really limited right now
4 to develop resources that can be built within the
5 state of Nevada. They don't have much ability to
6 reach outside the state and buy from other companies
7 because of import limitations. The Alturas line will
8 allow them to increase that import capability, so for
9 their resource portfolio to expand and look like the
10 Washington Water Power's resource portfolio will look
11 like in the future, we're going to need to take a look
12 at whether any future transmission expansion makes
13 sense for the Sierra division.

14 Q. All three of us were intrigued with that
15 same sentence in there in your testimony concerning
16 being able to sell capacity on your transmission
17 system below the embedded average cost, and I think
18 the way you answered that was that you have some
19 excess capacity on the system and you can sell it and
20 make a few bucks off that?

21 A. It's very similar to what we do on the
22 production side. We have a resource like Colstrip
23 that the fully allocated costs is about three and a
24 half cents a kilowatt hour and when it's available and
25 not being used to serve our customers' needs, we will

00382

1 sell it somewhere between 10 mills or one cent and
2 three and a half cents, depending on what the market
3 is. So we sell a lot of our production on the nonfirm
4 market below our fully allocated cost.

5 Q. Do you think that would be the same policy
6 for the merged company as well? The same transmission
7 pricing policy that you've been using at WWP, do you
8 think in the merged company you will follow the same
9 policy?

10 A. Well, if I was in charge of marketing
11 Sierra's transmission services in the new company, I
12 would be looking at maximizing the revenues on that
13 transmission system by getting more people to use it
14 and looking at what the marginal cost is and making
15 sure that we were earning in excess of that.

16 Q. So I suppose that works as long as you have
17 excess capacity anyway?

18 A. That's correct.

19 Q. At some point with the merged company one
20 of the reasons that you want to do a merger is more
21 fully utilize your transmission system which means
22 you're going to have more use of it with your own
23 company; is that correct?

24 A. That's correct. What we certainly don't
25 want to do is to sell off transmission below the

00383

1 marginal cost and find out we have to build and then
2 have a revenue hit, so that's -- long-term
3 transmission sales have to be looked at very
4 carefully.

5 Q. Do you have some now, long-term?

6 A. We have some that we do with Bonneville
7 right now, yes.

8 Q. What's the typical ending date on the one
9 you have at the moment?

10 A. Our transmission contracts with Bonneville
11 run 20 years.

12 Q. Bonneville?

13 A. Yes.

14 Q. So that's something you would need to deal
15 with and plan in your system, then?

16 A. That's correct.

17 Q. I'm also interested in your wholesale
18 capacity contracts. Some of them are fairly
19 long-term, too, I understand. I was looking for your
20 list -- between 15 and 20 years, a couple of your
21 contracts?

22 A. That's correct.

23 Q. I really don't know how those work. Do you
24 lock up transmission to correspond to those long-term
25 transmission, to correspond to those? You have a

00384

1 contract to reach Portland General. I don't know if
2 you own the whole transmission system getting there or
3 not, but do you lock up the transmission contracts you
4 need to meet your commitments for capacity?

5 A. Yes, we do. In some cases we need
6 contracts in order to get to those marketplaces and in
7 other cases we have our own transmission. Our
8 contracts with Pacific Power and Light for capacity
9 sales and to Portland General Electric, we have
10 transmission to those utilities. We connect with them
11 at the mid Columbia where Priest Rapids, Wanapum are
12 located.

13 Q. So you're not in a problem if -- in the
14 cases where you don't own the whole route?

15 A. That's correct.

16 Q. You're not in a problem if suddenly for
17 some unforeseen reason the prices would go double on
18 the transmission network getting there?

19 A. No. We're not in trouble in the case of
20 those two contracts. To the extent that Portland
21 General/Pacific have contracted with BPA or others to
22 move that capacity contract from our point of
23 interconnection with them to their system, that is
24 their issue.

25 Q. So your contract is only the energy or the

00385

1 capacity, you don't price in the transmission in your
2 contract?

3 A. No.

4 COMMISSIONER GILLIS: That's all. Thanks.

5 CHAIRMAN NELSON: One more.

6

7 EXAMINATION

8 BY CHAIRMAN NELSON:

9 Q. Your discussion with Mr. Trotter on avoided
10 cost determination, I think you said that the policy
11 hadn't yet been determined; is that right?

12 A. That's correct.

13 Q. Nevada does have this pretty prescriptive
14 regime on monetizing externalities. Do you have any
15 idea if you would try to work around that? Just in
16 general IRP process are we going to see the export of
17 monetized values north and west or -- this is sort of
18 a variation on a question I asked Mr. Higgins
19 yesterday. Do you think the Nevada regime will spread
20 north or will our more rough-handed attempt to deal
21 with externality values be adopted?

22 A. Well, of course I can't give you an answer
23 on that other than we've been pleased with the way
24 that resource decisions have been made in the state of
25 Washington and Idaho with the IRP process and just the

00386

1 interaction between the company and the Commission and
2 the staff. And we do not have a preapproval process
3 and they do in Nevada. This would certainly be a new
4 experience for me if I'm going to be involved in
5 helping the Sierra division select new resources. I
6 hope that we can have a process in the two states that
7 will be driven with an end result providing a
8 competitive product to their customer. And I know the
9 issues are on externalities. I do not know enough
10 detail about what Nevada actually does, but I'm
11 getting some comfort that there is becoming a building
12 awareness in the state of Nevada that they need to do
13 something about their energy costs to the retail
14 customers and I think they view some of the things
15 that we do up here in the northwest pretty obviously.

16 Q. I definitely hope we don't replicate their
17 experience with those externality values.

18 JUDGE CANFIELD: Mr. Meyer.

19 MR. MEYER: I will try and be very brief
20 and to the point.

21

22 REDIRECT EXAMINATION

23 BY MR. MEYER:

24 Q. First of all, do you believe that the
25 change of power between the Sierra and Water Power

00387

1 divisions as part of this new Resources West Energy,
2 even though it's at market clearing prices, will
3 somehow diminish the commitment of Resources West to
4 marketing efforts beyond its own service territory?

5 A. No. I would be looking forward to leading
6 a bigger and better and more aggressive than what we
7 have today and successful wholesale marketing effort
8 under Resources West Energy.

9 Q. Now, let's just -- for clarification
10 purposes, you were handed Exhibit 80, and that
11 consists of those letter agreements entered into with
12 Bonneville and Idaho Power. Do you recall that?

13 A. Yes, that's correct.

14 Q. And to put some perspective on those, is it
15 your recollection that -- well, let me ask it this
16 way. In Mr. Canning's testimony, he indicated that
17 the production-related savings consisting of reduced
18 capacity requirements and lowered reserve margins
19 depended in part upon the availability of what he
20 characterized as a 200-megawatt transmission path. Do
21 you recall that?

22 A. Yes, that's correct.

23 Q. Now, did he also indicate in his prefiled
24 testimony that the companies were exploring a number
25 of options in that regard?

00388

1 A. That's correct.

2 Q. Now, Exhibit 80 which we now have before
3 us, what is the significance of that with regard to
4 the transmission path issue?

5 A. Well, we have basically secured our
6 transmission paths through the Bonneville Power
7 Administration and the Idaho Power Company system. And
8 these memorandum of understanding secure that
9 transmission path. I will note, though, that in the
10 case of the BPA system we were only able to acquire 90
11 megawatts. We have 190 megawatts of a 200 going one
12 direction and as much as 250 coming from the Sierra
13 system toward Water Power. This is more than enough
14 to achieve the benefits that we've identified in the
15 merger.

16 Q. And all of that's reflected at the bottom
17 of Exhibit No. 81?

18 A. Yes, that's correct.

19 MR. MEYER: That's all I have.

20 JUDGE CANFIELD: Any follow-ups?

21 MS. JOHNSTON: No.

22 JUDGE CANFIELD: Okay. Thank you. You're
23 excused and let me take a short break to discuss
24 scheduling.

25 (Recess.)

00389

1 JUDGE CANFIELD: Back on the record after a
2 brief break. We are going to adjourn for the day and
3 reconvene at 9:00 in the morning. This session is
4 adjourned.

5 (Hearing adjourned at 5:18 p.m.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25