

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

WASHINGTON STATE
ENERGY FACILITY SITE EVALUATION COUNCIL
Richard Hemstad Building
1300 South Evergreen Park Drive Southwest, Conference Room 108
Olympia, Washington
Wednesday, September 18, 2013
1:30 P.M.

MONTHLY MEETING
Verbatim Transcript of Proceeding

REPORTED BY: SHELBY KAY K. FUKUSHIMA, CCR #2028
Buell Realtime Reporting, LLC
1411 Fourth Avenue
Suite 820
Seattle, Washington 98101
206.287.9066 | Seattle
360.534.9066 | Olympia
800.846.6989 | National
www.buellrealtime.com

A P P E A R A N C E S

Councilmembers Present:

Dennis Moss, Acting EFSEC Chair, UTC
Liz Green-Taylor, Department of Commerce
Cullen Stephenson, Department of Ecology
Joe Stohr, Department of Fish and Wildlife
Andrew Hayes, Department of Natural Resources

Assistant Attorney General:

Ann Essko, Assistant Attorney General

Staff in Attendance:

Stephen Posner, Interim EFSEC Manager, Compliance Manager
Jim La Spina, Siting Specialist
Tammy Talburt, Commerce Specialist
Sonia Bumpus, Siting Specialist
Kali Wraspir, Administrative Assistant 2

Guests in Attendance:

Timothy L. McMahan, Stoel Rives
Kelly Flint, Savage Services Corporation
David Corpron, Savage Services Corporation
Irina Makarow, BergerABAM
Jan Aarts, Cardno ENTRIX
Adam Torem, Utilities and Transportation Commission
Richard Downen, Grays Harbor Energy Project
Mark Miller, PacifiCorp Energy
Mark Henry

Guests in Attendance Via Phone:

Shannon Khounnala, Energy Northwest
Brad Barfuss, Energy Northwest
Randy Peltier, Southwest Clean Air Agency
Jennifer Diaz, Puget Sound Energy, Wild Horse Wind Power Project
Eric Melbardis, Kittitas Valley Wind Project, EDP Renewables
Jonathan Vanderzee, Kittitas Valley Wind Project, EDP Renewables
Bryan Snodgrass, City of Vancouver

1 OLYMPIA, WASHINGTON, SEPTEMBER 18, 2013

2 1:30 P.M.

3 -o0o-

4
5 P R O C E E D I N G S

6
7 ACTING CHAIR MOSS: Good afternoon, everyone. I
8 believe we have reached the appointed hour of 1:30, so we'll
9 commence our monthly meeting of the Energy Facility Site
10 Evaluation Council.

11 My name is Dennis Moss. I'm the acting chair of the
12 Council, and I'm the UTC representative to the Council as well.
13 I'm not sure if I'm wearing one hat today or two, but in any
14 event, I am here.

15 With that, I think it would be appropriate to have
16 the roll call.

17 THE CLERK: Department of Commerce?

18 MS. GREEN-TAYLOR: Department of Commerce, Liz
19 Green-Taylor.

20 THE CLERK: One second, Liz. I'm sorry.

21 MS. GREEN-TAYLOR: Oh, my mike was not on.

22 Liz Green-Taylor for the Department of Commerce.

23 THE CLERK: Department of Ecology?

24 MR. STEPHENSON: Cullen Stephenson here.

25 THE CLERK: Fish and Wildlife?

1 MR. STOHR: Joe Stohr is here.

2 THE CLERK: Department of Natural Resources?

3 Utilities and Transportation Commission?

4 ACTING CHAIR MOSS: Well, again, I suppose that would
5 be me.

6 THE CLERK: There is a quorum.

7 ACTING CHAIR MOSS: In any event, there is a quorum.
8 So did we hear from Mr. Hayes? He was not going to
9 be present or...

10 THE CLERK: We have not heard that he isn't going to
11 be present.

12 ACTING CHAIR MOSS: We don't know? Well, maybe he'll
13 be here momentarily. We'll find out.

14 All right. We have a proposed agenda for today that
15 the EFSEC Staff circulated to everyone, and I would ask if
16 anyone has any changes or suggestions with respect to it.

17 Here's Mr. Hayes now for the Department of Natural
18 Resources.

19 That's fine. That's noted for the record.

20 Any changes to the agenda? Comments?

21 Hearing none, then we'll accept the agenda as it's
22 laid out here. I may make a couple of adjustments as we go
23 along to reflect my own style of running things.

24 The first adjustment I'll make is I'm not going to
25 ask who's on the telephone. We have a full house here at the

1 hearing room at the UTC's headquarters. And as we go through
2 the various reports this afternoon or the various items on the
3 agenda calling on the various company representatives, I'll ask
4 you to identify yourselves, and we'll have such conversation as
5 it is appropriate at that time rather than doing that now.

6 We have in our packets for today meeting minutes from
7 July 16th, July 18th, and August 28th.

8 Do any Councilmembers have questions, suggestions,
9 editorial comments they wish to make with respect to those?

10 Mr. Posner, do we take a motion on these or just
11 approve them?

12 MR. POSNER: Yes, motion to approve.

13 ACTING CHAIR MOSS: All right. I would entertain a
14 motion to approve the minutes.

15 MR. STEPHENSON: So moved.

16 ACTING CHAIR MOSS: Do I hear a second?

17 MR. HAYES: I'll second that.

18 ACTING CHAIR MOSS: Thank you, Mr. Hayes.

19 All in favor say "aye."

20 MULTIPLE SPEAKERS: Aye.

21 ACTING CHAIR MOSS: Let the record reflect it's
22 unanimous.

23 All right. I will follow the agenda for the first
24 couple of items where we have some matters to be reported on, so
25 let's start with the Columbia Generating Station. And the first

1 matter will be an operational update.

2 Ms. Khounnala, are you on the phone?

3 MS. KHOUNNALA: I am, Chairman Moss. Thank you.

4 For the record --

5 ACTING CHAIR MOSS: We have your written report here,
6 and I'll just ask you if you have anything to add with respect
7 to the Columbia Generating Station or the WNP project.

8 MS. KHOUNNALA: No, I don't have anything to add.

9 For the record, it's myself, Shannon Khounnala, and
10 Brad Barfuss here on the line. And outside of the operational
11 status reports for either of those facilities, we're here to
12 support any questions in relation to what I think Mr. La Spina
13 will be discussing with regard to the evaporation pond project.

14 ACTING CHAIR MOSS: That's right. And I thank you
15 for your presence today, and I'll ask the Councilmembers first
16 if they have any questions regarding the operational update.

17 Hearing none, let's move on to Mr. La Spina and have
18 your report, Mr. La Spina, on the evaporation pond project.

19 MR. La SPINA: Well, actually, before that, sir, I'm
20 going to -- Chair Moss, I want to offer an update on the NPDES
21 permit --

22 ACTING CHAIR MOSS: All right.

23 MR. La SPINA: -- that's being drafted for the
24 Columbia Generating Station. I just got five bullets, so it's
25 fairly brief.

1 The current permit was issued May 2006, and
2 administratively extended in 2011. Permit reissuance was
3 delayed by the replacement of the facility's main condenser.
4 That's why the permit was administratively extended.

5 EFSEC Staff has contracted with the Department of
6 Ecology Water Quality Program to draft a new permit. Ecology
7 has completed the initial draft of the permit.

8 The National Marine Fisheries Service and the U.S.
9 Environmental Protection Agency has reviewed the draft permit
10 due to concerns -- their concerns about whether the facility's
11 cooling water intake structure in the Columbia River complies
12 with current standards.

13 And just for your information, since we have some new
14 Councilmembers, issuance of this permit requires a public
15 comment period which is generally -- runs 30 to 45 days.

16 In addition, the Council typically holds a public
17 hearing during the public comment period, so EFSEC Staff plans
18 to coordinate with the Council and Ecology to develop a schedule
19 for the remainder of the issuance process. Thank you.

20 ACTING CHAIR MOSS: All right. Thank you very much.

21 MR. La SPINA: And does the Council have any
22 questions?

23 ACTING CHAIR MOSS: Any questions from anyone? And
24 we'll be setting that schedule later?

25 MR. La SPINA: Later, yeah.

1 ACTING CHAIR MOSS: Later. All right. Very well.

2 All right. And how about the evaporation pond? Are
3 we ready for that?

4 MR. La SPINA: Yes, sir. So you can follow along.
5 There's a group of white pieces of paper on the right side of
6 your packets, and I'm just going to do a real brief summary
7 here.

8 Earlier this year, Energy Northwest proposed
9 construction of a wastewater treatment evaporation pond system
10 to evaporate some of its wastewater streams. Construction of
11 the ponds will eliminate an existing discharge to ground.

12 In support of this proposal, Energy Northwest has
13 developed an engineering report. In your packets and on those
14 white pieces of paper, you have a draft Determination of
15 Nonsignificance, SEPA checklist, and recommendations of approval
16 from Department of Ecology and Department of Health.

17 Based on the recommendation of Ecology and Health,
18 the EFSEC manager has made a threshold Determination of
19 Nonsignificance.

20 Does the Council and Councilmembers have any
21 questions?

22 ACTING CHAIR MOSS: And for those of you who are new
23 to this process, this is not a matter that requires action by
24 the Council, but this is an opportunity for us to become better
25 informed about this. The SEPA official, for purposes of EFSEC,

1 is its manager, in this case, Mr. Stephen Posner.

2 So does anyone have questions about this?

3 I have only one, and it may not be directly pertinent
4 to the project itself, but I noticed in the Health Department's
5 letter, they refer to the proposed -- the decommissioning of the
6 current storm drain pond.

7 Is that something that will require separate action,
8 and does -- well, I should just put it this way.

9 Does that involve anything for EFSEC or is that part
10 of the NPDES or...

11 MR. La SPINA: At this time, Chair Moss, Energy
12 Northwest is developing a plan to characterize those sediments
13 at the discharge box. Actually, for this permit, we will be
14 ceasing discharge to two different points to ground which is a
15 big improvement.

16 And due to where the Columbia Generating Station is
17 situated, they do a lot of characterization of sediments and
18 that sort of thing. At this time EFSEC Staff is in consultation
19 with Ecology and Health on whether it should be done within the
20 permit or through a separate vehicle.

21 ACTING CHAIR MOSS: Okay. And you'll keep us
22 apprised of any involvement by EFSEC?

23 MR. La SPINA: Absolutely.

24 ACTING CHAIR MOSS: Thank you very much.

25 MR. La SPINA: Thank you.

1 ACTING CHAIR MOSS: Any other questions?

2 Apparently not. All right, then, let's move to the
3 Chehalis Generation Facility. Again, on the agenda, we have a
4 couple of items here. We have, first, perhaps, an operational
5 update.

6 MR. MILLER: Good afternoon, Chair Moss and
7 Councilmembers. My name is Mark Miller. I'm the plant manager
8 at PacifiCorp Energy Chehalis Generating Facility.

9 I have one non-routine note to add.

10 ACTING CHAIR MOSS: Okay.

11 MR. MILLER: And that is the receipt of a letter from
12 EFSEC and your contractor, the Southwest Clean Air Agency, of a
13 recommendation to the Council that a Notice of Violation be
14 issued in accordance with related RCWs and the Washington
15 Administrative Code.

16 Before the Board takes action, I would like to make a
17 couple comments and one request.

18 ACTING CHAIR MOSS: Please go ahead.

19 MR. MILLER: Thank you. PacifiCorp purchased the
20 plant in September of 2008, and we take very seriously the
21 potential environmental impacts of the operation of the plant.

22 Since the acquisition, we have made significant
23 investment in spare parts inventory and applying innovative
24 mechanical modifications to improve not only the generation
25 reliability, but also the environmental performance in all

1 aspects of the plant's operation.

2 We have increased the parts inventory by
3 \$1.5 million, including parts and redesign of NOx, nitrogen
4 oxides, pollution control, selective catalytic reduction
5 blowers, and scheduling a full catalyst change in the year 2015.

6 We now have, which was not the case previously, five
7 dedicated personnel to maintenance tasks only. And as a part of
8 our continuous improvement process for all aspects of our
9 environmental respect -- air, water, wastewater, spill
10 prevention control, et cetera -- PacifiCorp has performed five
11 environmental compliance audits since 2008 using internal
12 partners or external contractors.

13 The two previous deviations under PacifiCorp's
14 ownership have been missed opacity readings in 2010 using Method
15 9. It's a visual observation, which subsequently initiated
16 preventative maintenance and notification procedures and
17 processes, and the other was a delay in annual fuel flow meter
18 calibration in 2012.

19 We have also worked with EFSEC and the Southwest
20 Clean Air Agency following a discussion and a letter in 2009
21 issued from SWCAA that it would be beneficial to the environment
22 to continue to operate during upset conditions should -- a
23 correctable condition rather than shutting the unit down to
24 avoid excess emission violations. We've had this occur with the
25 plugged ammonia quill injection into the HRSG.

1 So some of these examples that PacifiCorp's -- of
2 PacifiCorp's commitment to continuously invest and improve in
3 the operation of the Chehalis Plant that I ask the Council to
4 consider PacifiCorp's engagement, improvement actions, and
5 process implementations when making a determination at the
6 EFSEC's Staff recommendation. And that's all I have.

7 ACTING CHAIR MOSS: All right. Well, let's hear from
8 Mr. La Spina on this, and then we'll see if the Council has
9 questions for either or both of you, and we'll take it from
10 there.

11 Mr. La Spina?

12 MR. La SPINA: Thank you, Chair Moss. In your
13 packets are two documents: One has the Southwest Clean Air
14 Agency letterhead on it, and the one behind it is about a
15 four-page document entitled "NOx Exceedance -- Combustion
16 Turbine 1."

17 And the Southwest Clean Air Agency is EFSEC's
18 compliance contractor. The SWCAA -- otherwise known as SWCAA --
19 use their standard matrix for determining the action on such an
20 exceedance, and their recommendation to EFSEC is that a Notice
21 of Violation be issued in accordance with the applicable
22 regulations.

23 ACTING CHAIR MOSS: And is that Staff's
24 recommendation as well?

25 MR. La SPINA: Yes, sir.

1 ACTING CHAIR MOSS: Okay. Now, Mr. Lamoreaux, are
2 you on the phone? Apparently not. I understand that maybe a
3 representative of the Southwest Clean Air Agency is with us by
4 phone or perhaps in the room?

5 MR. PELTIER: Yes.

6 MR. La SPINA: Randy Peltier should be on the phone.

7 ACTING CHAIR MOSS: Okay.

8 MR. PELTIER: Yes, we are here.

9 ACTING CHAIR MOSS: Yes. I just wanted to give an
10 opportunity, if you wish to have any comment on this, before we
11 have the Council questions.

12 MR. PELTIER: I would only reenforce what
13 Mr. La Spina has already said. We do regulate similar sources
14 throughout our jurisdiction, and this recommendation is
15 consistent with our practice.

16 ACTING CHAIR MOSS: All right. Thank you very much.

17 Are there questions from the Council for any of our
18 speakers?

19 Apparently not. In that event, I think it would be
20 appropriate that we entertain a motion concerning the Staff
21 recommendation that we authorize Staff to issue a Notice of
22 Violation.

23 Anyone make a motion that we authorize the Staff to
24 issue a Notice of Violation?

25 MR. La SPINA: Chair Moss, can I perhaps --

1 ACTING CHAIR MOSS: You may.

2 MR. La SPINA: -- clarify something?

3 ACTING CHAIR MOSS: Sure.

4 MR. La SPINA: Some of the Councilmembers may not be
5 aware of what a Notice of Violation is.

6 ACTING CHAIR MOSS: Well, why don't you explain that
7 for us.

8 MR. La SPINA: Yes, sir. A Notice of Violation is a
9 routine response to a permit exceedance or deviation. What it
10 does is it contains a list of questions that essentially boil
11 down to who, what, when, where, and why the exceedance occurred
12 or whatever.

13 And what happens is the NOV is sent to the permittee,
14 the permittee answers the questions, EFSEC Staff evaluates the
15 responses, and then the matter comes in front of the Council
16 again for whatever disposal of how you -- whatever you want to
17 do.

18 So in and of itself, issuance of the NOV is not
19 enforcement. It's just answering questions. However, if the
20 Council feels that enforcement is called for on the basis of the
21 responses, then you have the option to go to enforcement or you
22 can just drop the matter --

23 ACTING CHAIR MOSS: All right.

24 MR. La SPINA: -- or there's several other possible
25 endpoints.

1 ACTING CHAIR MOSS: Thank you, Mr. La Spina. That's
2 a very useful explanation, I think. And, yes, it is a process.
3 It basically just simply creates a formal opportunity for Staff
4 to interact and gain more information that it can bring back to
5 the Council and the Council can decide what to do then, if
6 anything. It is not in itself in any sense a punitive action
7 with respect to the operator.

8 So, again, I would express my opinion that I think it
9 would be appropriate to authorize Staff to issue a notice, but
10 certainly need to entertain a motion to that effect.

11 MR. STEPHENSON: Chair Moss, this is Cullen
12 Stephenson. I will move that we approve the Staff
13 recommendation through the Southwest Clean Air Agency to issue
14 this Notice of Violation.

15 ACTING CHAIR MOSS: All right. Is there a second?

16 MR. HAYES: I'll second that motion.

17 ACTING CHAIR MOSS: All right. Any discussion?

18 Apparently not.

19 All those in favor signify by saying "aye."

20 MULTIPLE SPEAKERS: Aye.

21 ACTING CHAIR MOSS: I believe the decision is
22 unanimous, so the Staff is so authorized.

23 MR. MILLER: Thank you for the opportunity.

24 ACTING CHAIR MOSS: Thank you very much. We
25 appreciate you being here, Mr. Miller.

1 I believe that completes us with that item on the
2 agenda, then. Let's move on.

3 Now, the next few items on the agenda, I think,
4 simply involve the routine reports, the operational updates from
5 various facilities, so let me ask first if, Ms. Diaz, are you on
6 the phone for Wild Horse?

7 MS. DIAZ: Yes, sir; I am.

8 ACTING CHAIR MOSS: Is there anything you would like
9 to add to the operational update that you have filed with us in
10 writing and we have had an opportunity to review?

11 MS. DIAZ: Nope. I have nothing further to report,
12 but I would be happy to answer any questions the Council has.

13 ACTING CHAIR MOSS: All right. Are there any
14 questions?

15 Apparently not. Ms. Diaz, we appreciate you being
16 present today to respond to any questions we might have, and
17 we'll look forward to talking to you again in the future.

18 MS. DIAZ: Thank you, Chair Moss.

19 ACTING CHAIR MOSS: All right. The next item is
20 Kittitas Valley Wind Project.

21 Mr. Melbardis, are you with us today?

22 MR. MELBARDIS: I am. Good afternoon, Chair.

23 ACTING CHAIR MOSS: Good afternoon. We have your
24 written report.

25 Do you have anything to add to that today?

1 MR. MELBARDIS: No, but I would be available to
2 expand on the noise complaint we had if anyone had any
3 questions.

4 ACTING CHAIR MOSS: All right. Very well.

5 Does anyone have any questions?

6 Apparently not. All right. Mr. Melbardis, we
7 appreciate you being with us today and look forward to
8 interacting with you in the future.

9 MR. MELBARDIS: Chair Moss, one more thing.

10 ACTING CHAIR MOSS: Yes.

11 MR. MELBARDIS: Our environmental manager is on the
12 line and was available to give an update on our avian monitoring
13 report if you so desire.

14 ACTING CHAIR MOSS: Okay. I didn't quite understand,
15 the something monitoring report?

16 MR. MELBARDIS: No. The avian and bat fatality
17 monitoring.

18 ACTING CHAIR MOSS: All right. Is that something the
19 Council would care to hear?

20 MR. HAYES: I would, Chair Moss.

21 ACTING CHAIR MOSS: All right. Then let's have that,
22 then, please.

23 MR. VANDERZEE: Yes. So, hello, Council. My name is
24 Jon Vanderzee. I'm our regional environmental manager, and I
25 help Eric with the wildlife compliance components of the

1 Kittitas Valley Project.

2 I wanted to inform the Council that we have completed
3 our second year of avian and bat fatality monitoring at the
4 project, which consisted of searches of each of the 48 turbines
5 for the first two years of operations. The raptor nest search
6 also entailed an aerial survey within 1 mile of the project and
7 follow-up ground surveys.

8 A Technical Advisory Committee meeting was held on
9 June 26 to discuss the results, and TAC members provided verbal
10 and written feedback that was incorporated into revised reports
11 which are available for Council review if desired.

12 I can go into some of the details of the results of
13 those reports if the Council would like.

14 ACTING CHAIR MOSS: Mr. Hayes? Anyone?

15 Okay. Well, apparently, we don't have any need for
16 the details at this time. I would imagine that you are in
17 communication with the EFSEC Staff on these matters as well?

18 MR. VANDERZEE: Yes, we are. We are in communication
19 with Mr. La Spina on the results of the reports.

20 ACTING CHAIR MOSS: Okay. Very well.

21 Anything else, then? All right. We thank you for
22 being here and giving us that update. And we, of course, count
23 on you to keep in touch with Mr. La Spina and the EFSEC Staff
24 generally with respect to these matters.

25 MR. VANDERZEE: Thank you.

1 ACTING CHAIR MOSS: Thank you. Let's move to the
2 Grays Harbor Energy Project.

3 And let me ask: Is Mr. Downen or someone else on the
4 phone for Grays -- oh, you're here.

5 MR. DOWNEN: I'm here.

6 ACTING CHAIR MOSS: I'm sorry. I didn't see you
7 right here.

8 MR. DOWNEN: That's all right. Good afternoon, Chair
9 Moss and Council. My name is Rich Downen. I'm the plant
10 manager of Grays Harbor Energy. Beyond the monthly report, I
11 have nothing additional to add.

12 ACTING CHAIR MOSS: All right. Do the Councilmembers
13 have questions for Mr. Downen?

14 Apparently not. Well, we appreciate you being here
15 today and look forward to working with you on this in the
16 future.

17 MR. DOWNEN: All right. Thanks.

18 ACTING CHAIR MOSS: Thank you very much.

19 All right. This brings us to the Whistling Ridge
20 Energy Project, which I believe says that we have a project
21 update from Mr. Posner; is that correct?

22 MR. POSNER: Yes. Good afternoon, Chair Moss and
23 Councilmembers. I asked Ann Essko to just give an update, just
24 an update on the Supreme Court ruling which Ann is fully
25 familiar with.

1 ACTING CHAIR MOSS: All right. Ms. Essko, please go
2 ahead.

3 MS. ESSKO: Thank you. On August 29th, the Supreme
4 Court issued its decision affirming the Governor's approval of
5 the project, so it was a 9-to-0 decision.

6 ACTING CHAIR MOSS: Okay. Any questions from the
7 Council?

8 All right. Thank you very much. Appreciate the
9 update.

10 And that brings us to what is listed on the agenda
11 here as the Vancouver Energy Distribution Terminal, which is a
12 project that I have been hearing referred to rather as the
13 "Tesoro Savage Vancouver Facility."

14 But in any event, whatever it may be called, as I
15 understand it, the applicant is here today with a brief
16 presentation, perhaps 15 or so minutes on the project, and we
17 have the application in hand. Some of us, at least, have
18 started reviewing it, although it is a daunting task, I might
19 say, given its volume, but we'll get through it, I'm sure.

20 So who's here for the applicants? Please come
21 forward. And, yeah. We need to pull those screens.

22 I gather it's a PowerPoint presentation --

23 MR. FLINT: Yes, sir.

24 ACTING CHAIR MOSS: -- so we can pull those screens
25 down. And just so you know, we have screens up here --

1 MR. FLINT: Okay.

2 ACTING CHAIR MOSS: -- that we can follow along with
3 you as well, and then we can have questions and comments and so
4 forth once we have our presentation.

5 THE CLERK: It's warming up.

6 ACTING CHAIR MOSS: Oh, okay. It's warming up. Bear
7 with us.

8 Why don't you give us your name for the record while
9 it's warming up.

10 MR. FLINT: Okay. Chair Moss, my name is Kelly
11 Flint. I'm the senior vice president and general counsel of
12 Savage Companies, and I'm pleased to be here today to present
13 our first report to the Council after having filed our
14 application. And we do have a brief presentation on the project
15 which is now on the screen.

16 ACTING CHAIR MOSS: Okay. Go ahead, please.

17 MR. FLINT: Thank you. As to the confusion on the
18 name, there are a lot of parties here. The applicant is Tesoro
19 Savage Petroleum Terminal LLC, which is an entity that is a
20 joint venture or partnership of Tesoro and Savage and was formed
21 specifically for this project.

22 Tesoro and Savage have worked together for more than
23 ten years at energy facilities, primarily at Tesoro's
24 refineries. Tesoro is obviously a major player on the West
25 Coast in refining and distributing and retailing petroleum-based

1 products, gasoline, and other products to consumers.

2 The partnership really came about because the Port of
3 Vancouver issued a request for proposals to parties for the
4 development of a crude-by-rail terminal at the Port. And given
5 our long history together and our respective areas of expertise,
6 we thought it made sense to come together in a joint venture and
7 respond to that request, and the Port chose our proposal, and we
8 have since negotiated an agreement with the Port to lease
9 property within the Port on which to construct the terminal.

10 Savage is a 70-year-old privately held company based
11 in Salt Lake City with extensive experience in handling bulk
12 materials and operating supply chain segments for our customers.
13 And we have done that for Tesoro in a number of instances in
14 refineries along the West Coast and, in fact, we are operating
15 their Anacortes crude-by-rail unloading facility for them.

16 Tesoro, as you are no doubt aware, is the largest
17 refiner on the West Coast of the United States. They have
18 extensive experience with marine operations and transporting
19 crude oil and refined products on the water, and so bringing us
20 together really brought the best of both companies in expertise
21 and brought together two companies that have shared values and a
22 commitment to the environment and to safe operating practices.
23 And so that's kind of the background to this project.

24 Savage was named -- and we're proud last year to be
25 named one of America's safest companies, and we were also named

1 the 2012 terminal of the year for our Bakken -- our terminal in
2 Bakken formation where we load crude oil into rail cars, and we
3 bring our commitment to the communities in which we serve. We
4 have 170 operations in North America and about 3,000 employees.

5 Tesoro shared our commitment to the community and its
6 deep commitment to safety and reliability to the environment,
7 and is also a cost leader in its markets and it's been on its
8 cost side and operating.

9 The facility that we are proposing to construct is
10 really designed to take advantage of the increased production of
11 crude oil primarily in the Midwest of the United States and in
12 Southern Canada and to match that increased production with a
13 growing need for crude oil on the West Coast to replace
14 declining production of Alaska North Slope crude, which the
15 refineries traditionally have used, and to reduce these
16 refineries' dependence on foreign imported crude oil.

17 Our goal is to increase the stability of energy
18 supply for the United States along the West Coast and at the
19 same time bring real economic benefit to the City of Vancouver,
20 to the Port, to the State of Washington, and to the United
21 States as we increase the Country's energy independence.

22 At full build-out -- the facility is designed in
23 stages, and we had submitted an application that includes the
24 full build-out of facility. That full build-out will depend on
25 market conditions in whether we achieve that, but -- and demand

1 for the services of the facility, but at full build-out, the
2 facility would employ about 120 people, full-time family wage
3 jobs, most of which would be drawn from the local community, and
4 the facility really will maximize use of the Port of Vancouver's
5 existing rail and marine infrastructure.

6 In many ways, it brings together kind of the best of
7 both worlds. The Port has -- as you may know, has invested
8 significant amounts in upgrading its rail infrastructure and
9 tying that into the Class I rail infrastructure that's in this
10 area. And it has marine facilities that are available in berths
11 that are currently not used, and so we can take advantage of
12 that infrastructure and at the same time build a modern facility
13 using state-of-the-art spill prevention control and handling
14 systems.

15 The facility is designed to initially receive an
16 average of two-unit trains a day at full build-out and at the
17 capacity for a near-term expansion to up to four-unit trains a
18 day on average.

19 A unit train can range from 95-ish to 118 cars, rail
20 cars, depending on the shipper and the railroad, and that ranges
21 from about 120,000 to a maximum average of 360,000 barrels a
22 day.

23 We'll unload those rail cars, and I'll show in a few
24 moments the product flow, but in brief, we'll stage that crude
25 oil in storage tanks to be built on site, and then we'll load

1 the crude oil into vessels at the existing berth at the Port of
2 Vancouver.

3 The facility will serve the refineries on the North
4 American West Coast. And one of the advantages the facility has
5 is that Tesoro, through its appetite for product on the West
6 Coast, will bring a base load capacity that will make the
7 terminal viable through its capacity, but the facility will have
8 additional capacity that we will market to other refiners on the
9 West Coast. We anticipate there being two to three total
10 customers that will utilize this facility.

11 Now, this map shows the location of the facility in
12 the Greater Vancouver area. It will be located entirely within
13 the Port of Vancouver, and, as you can see, there on the
14 Columbia River, the closest neighborhoods being the Fruit Valley
15 neighborhood there to the north. I believe that's the
16 northeast. I get my directions up here a little confused, so
17 you'll forgive me on that.

18 The site is a brownfield site that has been
19 remediated to the Department of Ecology standards. This
20 photograph was taken at the time when the Alcoa aluminum
21 facility was still there. You can see located -- or it's
22 showing what is now Terminal 5 at the Port, so that facility
23 has, since this photograph, been taken down. The property has
24 been remediated and the Port has constructed a loop track
25 facility on that and we'll show a photograph in a moment.

1 And also shown here are Berths 13 and 14. Those are
2 the berths that will be utilized by this facility.

3 And this is a photograph of the site, an aerial
4 photograph of the site today. The Terminal 5 there is where the
5 aluminum smelter was formerly located. And Berth 13 and 14 are
6 shown there, and you can see some of the surrounding parcels.

7 This facility has several components to it, and
8 they're going to be located on different parcels within the Port
9 to fit within the Port's existing infrastructure and what
10 property it has available, and so it may be a little different
11 than some of the facilities you've looked at it. It's not a
12 nice, you know, rectangular piece of property. We actually have
13 several components to it.

14 And if we look at this next slide, this overlays
15 those over it and within the application, those are identified
16 serially as Parcels 100 through -- Dave, 600?

17 MR. CORPRON: Six hundred.

18 MR. FLINT: And we'll walk through this in a moment,
19 but you can see where these -- that's why there's the different
20 colors here. It's laying it out. The components basically are
21 the rail unloading facility and a supporting office complex,
22 small office complex for our employees.

23 The nose will be located there on the loop tracks at
24 the top, and you can see to the right where the storage tanks
25 will be constructed. We call that -- that's on the Port's

1 Parcel 1A, which is a site that is available. Then the loading
2 will occur out of Berths 13 and 14, and then the balance of the
3 parcels are the easements for the pipelines that will connect
4 these components.

5 ACTING CHAIR MOSS: Is this the project at full
6 build-out?

7 MR. FLINT: This is the project at full build-out,
8 yes. Initially, we intend to build four of the six storage
9 tanks. We'll build the full containment area so that it's
10 available.

11 But, initially, we will start with two tracks, two
12 loop tracks, with the capacity to expand to a third and with
13 four of the six storage tanks.

14 This shows, again, in a more diagram basis, the
15 facility, and we can walk through kind of the product flow here.
16 So in the highlighted box, the trains will arrive and actually
17 be placed by the BN railroad onto Port property, and so that
18 when the train is parked, it will be entirely within the Port on
19 the tracks that you see there to the right, the series of
20 tracks.

21 The BN crew will get off the train and turn it over
22 to a Savage crew, which will then pilot the train through the
23 system. The trains will never be left uncrewed. There will be
24 the handoff.

25 The trains will then proceed around the loop track

1 that's identified there in a clockwise manner. The lower
2 portion of that loop track is the location of the potash
3 transloading facility that BHP Billiton is proposing to
4 construct on the same track.

5 The trains will then proceed around the loop up to
6 the top of the loop, the north part there, where they will
7 enter -- the trains are kept intact. The power, the
8 locomotives, are not decoupled, and the train, the four-unit
9 train, is left intact. And that's the advantage of the loop
10 track.

11 They'll be brought into the unloading building in
12 what we call "index through" in sets, because the facility can
13 unload 30 rail cars at a time on each track. And so the
14 locomotives will pull through and pull the first 30 cars into
15 the unloading building and from there, those 30 cars will be
16 unloaded.

17 The system is a completely closed-loop unloading
18 system. The crude oil is never exposed to the atmosphere. Our
19 crews will attach hoses to the valves on the bottom of the rail
20 cars using what are called "dry disconnects." These are
21 disconnect valves that can only allow flow of product when
22 they're locked, in the locked attached position, and from there,
23 when that's completed, they will then attach a vapor hose to the
24 top of the rail car so that as -- and that vapor hose -- and
25 then below the rail cars there is what we call a "header pipe."

1 It's basically a channel pipe into which the crude flows, and as
2 the crude comes out the rail car, it displaces air in that pipe.
3 That hose then goes to the top of the rail car so that the air
4 can go into the top of the rail car and replace the crude as it
5 comes out so the vapors are continually contained within the
6 system.

7 And the rail cars are then emptied into this channel,
8 this pipe, and it's what we call a "free-flow pipe." There is
9 always excess capacity or air within the pipe so that the system
10 is not pressurized. There's no back pressure into the rail cars
11 as they're being unloaded.

12 The crude in that header system -- or in that
13 unloading system then is conveyed to the storage tanks by
14 pipeline. There are a series of pumps that will be there with
15 the unloading building within containment -- concrete
16 containment chambers. Then we'll pump the crude oil up to the
17 storage tanks. These will be purpose-built storage tanks with a
18 shell capacity of 380,000 barrels each. They have an effective
19 capacity of about 360,000 barrels, the difference being the
20 headroom within it and what we refer to as "slosh capacity" in
21 the case of an earthquake so that the crude wouldn't come out of
22 the top.

23 The tanks have two roofs. There's a fixed roof on
24 the top of the tank that is designed to shed rain so that water
25 does not get into the tank. There is also a floating roof

1 within -- inside the tank that stays even with the product so it
2 moves up as the tank's filled and goes down as the tank is
3 emptied to minimize the vapor space within the tank. And that
4 has seals to the sides of the tank so that it contains the
5 vapors within it.

6 The initial four tanks will be unheated. The two
7 expansion tanks, additional tanks, we have proposed the ability
8 to include heating with that.

9 As you may know, there's a range of crude oils that
10 are produced in North America ranging from very light to heavier
11 crudes. Some of those heavier crude oils at cool temperatures
12 don't flow as well, and as part of our expansion, if we add the
13 third track, we would add some unloading stations where we would
14 have the capability of steaming rail cars. That heavier crude
15 would come in in rail cars that have internal steam coils. We'd
16 hook it up to the steaming system to warm the crude up so it
17 flows better, and then we'd put that into tanks that are also
18 heated to maintain that flowability.

19 The crude is then pumped from the storage tanks along
20 a corridor out to the berth where it will be loaded into
21 vessels. The vessels are, for the most part, in the handymax
22 size, which is roughly 350,000 barrels, so that matches up with
23 about a storage tank. At full capacity at this facility, that
24 would equate to about a vessel a day. Initially, it would be a
25 vessel every two to three days that we would be loading.

1 The dock that is there now, the berths, do not meet
2 current seismic standards, and so we will be applying to the
3 U.S. Army Corps of Engineers for a permit to upgrade that dock
4 and bring it into compliance with current seismic standards.
5 And as part of that, we are also proposing a significant amount
6 of remediation of the existing dock, removing portions of it,
7 removing piles, so that there's no net increase in piles in the
8 river and no net increase in overwater coverage.

9 That's the basic product flow for this facility.
10 It's actually a pretty simple system. Savage has built and
11 operated and currently operates a number of these systems,
12 including in Anacortes and in the Northeast at refineries and in
13 the Midwest of the Country as well. We are unloading trains for
14 refineries.

15 The advantage of this facility is that it can serve a
16 number of refiners. As I have said, the Port of Vancouver
17 actually is the closest deepwater port by rail from the Bakken
18 formation in North Dakota, where we believe that most of this
19 crude will come from, at least initially, and it works very well
20 for the market.

21 The facility will include return pipes from the dock
22 so that it is continuously welled and piped to minimize any
23 chance of an occurrence that the crude will be loaded into the
24 vessels using high-pressure hoses and a crane system that will
25 be on the dock.

1 We will preboom each vessel before it's loaded, and
2 will have extensive spill response capabilities on the dock and
3 on the river through the Clean Rivers Initiative Cooperative
4 that Tesoro is already a member of.

5 The return line is important because we have our
6 rapid shut-off valves at the berth, and so if there is a need to
7 stop the flow, we can do so very rapidly. And the return lines
8 will then take the product back so that there's no, you know,
9 water hammer effect on the pipes that could affect their
10 integrity.

11 We'll also have our vapor recovery system there.
12 The vessels will come in with inerted holds for safety purposes,
13 and as the vessels are filled, obviously, that vapor material in
14 the holds will be displaced, will capture all of that, and that
15 will then be transferred landside to a vapor control unit where
16 it will be oxidized.

17 So that is --

18 MR. STEPHENSON: Can I ask a question, Chair?

19 ACTING CHAIR MOSS: Yeah, sure.

20 We've got a question for you.

21 MR. FLINT: Certainly.

22 MR. STEPHENSON: Kelly, thanks. So you have shown
23 the vapors from the marine.

24 What about the vapors from the tanks and the trains?

25 MR. FLINT: The tanks and the trains, there's a

1 completely enclosed system, so the vapors are not released
2 there.

3 And the vessels, you know, come in with a hold and
4 their release, but our system on the unloading side is balanced
5 so that as the -- again, as the air is displaced from the pipe
6 into which the crude is unloaded, that goes back into the rail
7 cars to replace the crude that is unloaded. And so there is no
8 release of vapors from either the unloading process or in the
9 tanks. Again, that's the purpose of the floating roofs is so
10 that there is not vapor displacement within. A vapor space is
11 created that has to be captured in the tanks.

12 So in conclusion, we just want to emphasize again the
13 safe construction and operation of the facility is our highest
14 priority. We are proud of our track record of both companies,
15 and we look forward to the opportunity of really building a
16 facility with the latest technology and capabilities here,
17 taking advantage of the existing rail and marine infrastructure
18 at the Port and really bringing economic value to the Port and
19 to its constituencies.

20 The facility will meet all applicable air emissions
21 standards that we've set out in the application, and as I have
22 said, we minimized the impacts to the -- obviously, the critical
23 marine environment by utilizing the existing dock and by
24 planning extensive remediation -- removal of piles, removal of
25 existing overwater structures -- as we bring the berths up to

1 seismic code.

2 And just a final point. As we've noted in our
3 application, we hope for and look forward to a cooperative
4 relationship with EFSEC. We have asked in our application that
5 you make a determination that an EIS is required, and we look
6 forward to working with EFSEC through that process and for our
7 rigorous analysis of our plants and our facility and our ability
8 to demonstrate that it does comply with regulations and can be
9 operating safely and effectively.

10 And with that, I would be happy to answer any
11 questions.

12 ACTING CHAIR MOSS: Thank you for your presentation,
13 Mr. Flint.

14 Are there other questions from the Council in
15 addition to those we've had?

16 MR. SNODGRASS: Hello?

17 ACTING CHAIR MOSS: Yes?

18 MR. SNODGRASS: No question, Mr. Chairman, just a
19 very quick introduction, if that's all right.

20 This is Bryan Snodgrass of the City of Vancouver, and
21 the City Council appointed me a couple of days ago to serve as
22 the local representative to the Council, to EFSEC, for review of
23 this project. And so you should be receiving correspondence to
24 that effect shortly, and I look forward to working with everyone
25 in review of this.

1 ACTING CHAIR MOSS: Bryan, was it?

2 MR. SNODGRASS: Yes.

3 ACTING CHAIR MOSS: Bryan Snodgrass. Well, thank you
4 and welcome to the Council. We look forward to working with you
5 and meeting you in the near future.

6 MR. SNODGRASS: Thank you.

7 MR. STEPHENSON: Maybe just a quick comment and a
8 question, Mr. Flint.

9 I'm a former refiner. I drive a car, so I'm not
10 ill-disposed to looking at this application, and I want to just
11 make sure we do it right.

12 MR. FLINT: Right.

13 MR. STEPHENSON: And it looks like you're trying to
14 do a good job.

15 In a high-level overview, when I look at it, we're
16 talking 360,000 barrels a day average.

17 MR. FLINT: Mm-hm.

18 MR. STEPHENSON: So I didn't see when I looked
19 through the material -- I got the disk and, you know, the big
20 notebooks. I didn't see a maximum. So that's one part of the
21 question.

22 The other part is 360,000 a day, six tanks at about
23 360,000 each.

24 MR. FLINT: Yes.

25 MR. STEPHENSON: So that means you're putting out

1 essentially one a day on average also?

2 MR. FLINT: That's correct.

3 MR. STEPHENSON: There's not quite a week's capacity
4 on site. That's looking like an Exxon Valdez-sized -- in my
5 calculations -- tanker once a week, and I'm guessing you're not
6 going to use something that big.

7 But just some comments on that on the efficacy of the
8 in and out and how the movement happens rationally with 500 cars
9 a day --

10 MR. FLINT: Correct.

11 MR. STEPHENSON: -- a big tanker --

12 MR. FLINT: And, yeah. The Port's facility can
13 handle about four trains a day. The reason we say average --
14 and four trains a day would be about three hundred fifty to
15 360,000 barrels.

16 The reason we say average is because, you know, with
17 train movements, it could be that we had five one day and three
18 the next as it spills over, you know, on an artificial clock of
19 a day.

20 But, basically, we'll be doing four trains a day, but
21 we're saying average because, you know, we don't want to be
22 locked in it if -- on a one given day if five trains arrive
23 because one train left at one a.m. kind of thing, but that's the
24 basic flow is 360,000 barrels a day at full capacity.

25 And as I mentioned earlier, the vessels that we

1 anticipate coming to the facility are the handymax size vessels,
2 so that's about a 350,000-barrel vessel. So that matches up at
3 that -- so at full capacity, we anticipate loading a vessel a
4 day. We do not anticipate -- you know, the river doesn't
5 handle -- the dock doesn't handle a vessel -- it would be a
6 vessel a week. That doesn't work for this facility.

7 The six tanks give us the capacity to handle
8 different customers, as I said before, so that the customers can
9 build their capacities to load their individual vessels. It
10 also gives our customers the capacity to do some lending of
11 crudes.

12 And as a refiner, you know that refineries are tuned
13 to a specific crude slate. And some of the crude, particularly
14 the Bakken crudes, can be a little light for some of the
15 facilities, and so they may want to bring in, you know, trains,
16 decoupled trains, in different capacities and then blend them as
17 they load the vessel so that it comes to the facility, to the
18 refinery. It's more compatible with the refinery's appetite for
19 crude.

20 Does that answer your question?

21 MR. STEPHENSON: Yes, thank you.

22 ACTING CHAIR MOSS: Other questions from
23 Councilmembers?

24 All right. I think you just answered a couple of my
25 questions.

1 So you anticipate one vessel per day --

2 MR. FLINT: At full build-out; yes, sir.

3 ACTING CHAIR MOSS: -- at full-build out?

4 MR. FLINT: Initially, we believe it will be a vessel
5 every two to three days.

6 ACTING CHAIR MOSS: Okay. All right. That's where I
7 understood you before.

8 MR. FLINT: Yeah.

9 ACTING CHAIR MOSS: I had that reversed.

10 All right. And you mentioned upgrades to the dock to
11 current earthquake standards --

12 MR. FLINT: Yes, sir.

13 ACTING CHAIR MOSS: -- and I noticed there's some
14 other references in the application to piling removal and piling
15 replacement and one thing and another that you plan to do.

16 So I'm just kind of wondering just how extensive are
17 we changing this dock when using an existing dock at some point
18 becomes not using the existing dock?

19 MR. FLINT: Yeah. It is substantially using the
20 existing dock. I mean, basically, what we're doing is -- yeah.
21 As, you know, it's a T-dock. There are two T-docks -- and I may
22 get my terminology all wrong here -- than with the larger beams,
23 and that's all cast-in-place concrete -- or excuse me. It's all
24 precast concrete.

25 The problem is the precast concrete is sitting on

1 piles not tied to us. So we're going to remove the precast
2 sections, we'll replace some of that with cast-in-place so that
3 it meets the earthquake code.

4 But what we're basically doing is reducing the
5 overwater coverage. We don't need everything that's there, and
6 so we're taking out parts of it.

7 And then for safe operation, the dolphins that are
8 there now are not connected to the dock by walkways, and so we
9 are going to -- we would need to move a couple of the dolphins,
10 so that is some of the work we'll be removing. And some of them
11 are dolphins that are closer, you know, in shallower water.
12 We're going to move them out to deeper water so that they work
13 better for the vessels we're bring in.

14 ACTING CHAIR MOSS: Okay. In my understanding, a
15 dolphin is some kind of a fish --

16 MR. FLINT: No. I'm sorry.

17 ACTING CHAIR MOSS: -- so you'll have to tell me what
18 that is.

19 MR. FLINT: The dolphins are the structures that are
20 in the water that the vessel ties up to.

21 ACTING CHAIR MOSS: All right.

22 MR. FLINT: Okay. So there's the dock face the
23 vessel comes against, but then they take their ropes basically
24 out on angles --

25 ACTING CHAIR MOSS: I see.

1 MR. FLINT: -- and tie them to structures to hold the
2 vessel in place while it's being loaded. Those structures in
3 the water are called "dolphins."

4 ACTING CHAIR MOSS: Okay. Thank you.

5 MR. FLINT: And so we'll be relocating a couple of
6 dolphins, but basically what we're doing is we're taking down --
7 or taking off the parts of the dock that we don't need now, and
8 then we're adding some graded walkways between the dock and
9 these dolphins so that our personnel, as they tie the vessel up,
10 can handle the lines in a safe way without having to be on small
11 craft moving around with those ropes.

12 ACTING CHAIR MOSS: Okay.

13 THE WITNESS: So, yeah, the overwhelming -- yeah. We
14 are using this dock. We're just bring it up to seismic code and
15 then taking out sections of it that we don't need where the net
16 result of that reduces the overwater coverage and any amount of
17 shadowing.

18 ACTING CHAIR MOSS: Yeah, and I'm sure we'll get into
19 this in more detail as we go along. I was just sort of trying
20 to get a sense of how much work we're talking about in the
21 marine environment as opposed to above the marine environment,
22 and it sounds like there will be some of both.

23 MR. FLINT: There are -- will be -- yeah, there will
24 be some of both. We can easily accommodate the in-water work in
25 a single construction, you know, window, an in-water

1 construction window, and actually a portion of it.

2 I have Dave Corpron here with me, who's our project
3 manager. Maybe Dave -- and he's going to be much more
4 conversant with the exact number of pilings and that kind of
5 thing than I am.

6 ACTING CHAIR MOSS: Okay. Just a high level
7 discussion if you don't mind.

8 MR. CORPRON: Hello. My name is Dave Corpron. I'm
9 the project manager for this. Right now we're looking at
10 removing roughly 200 piles up at Terminal 2 at the Port of
11 Vancouver that are wood piles that have been sitting there for
12 quite some time. And we are going to add -- the number of piles
13 that we are going to install are roughly about 60 piles, and we
14 are taking out pilings for four of the dolphins and then
15 replacing those.

16 So the dolphins will have four additional piles per
17 dolphin right now than they currently have, and we're changing
18 the size of those as well. So that is one of the reasons for
19 the increased number of piling removed at the other area.

20 ACTING CHAIR MOSS: Okay. You mentioned, I think,
21 that the pilings that are being removed are wooden and old; is
22 that right?

23 MR. FLINT: It's a mix. At the dock itself the
24 pilings we're removing are steel pilings. But as part of our
25 remediation efforts, we're also removing some other pilings at

1 the Port that are old wood pilings that are not used.

2 ACTING CHAIR MOSS: Yeah.

3 MR. FLINT: It's to restore habitat along that
4 waterfront at the Port.

5 ACTING CHAIR MOSS: Okay. All right. I see.
6 And the new pilings will be steel or...

7 MR. CORPRON: Yes.

8 MR. FLINT: The new pilings will be steel.

9 ACTING CHAIR MOSS: Okay. All right. Thank you.

10 MR. STOHR: Mr. Flint, I'm curious about the
11 involvement or the discussions with Oregon.

12 I mean, how does that work? I'm relatively new on
13 the Council here, but what is the interstate relationship as we
14 look at these kinds of facilities on the river and...

15 MR. FLINT: This facility does not require a permit
16 from the State of Oregon. It requires only the permits from
17 Washington, and absent EFSEC, there will be a variety of permits
18 that will be required. Obviously, with EFSEC, those are brought
19 together into the single application, and in addition, we
20 require the U.S. Army Corps of Engineers permit for the work on
21 the dock. But those are the only two applications.

22 In an effort to -- you know, to be good corporate
23 citizens and neighbors, we have an outreach program both in the
24 State of Washington and in the State of Oregon. We talked to
25 local officials and we'll be holding an open house and some

1 things to which they are invited. But there is not a permit
2 required from the State of Oregon.

3 MR. STOHR: Another question. As these tankers come
4 in or leave, it will be under pilots --

5 MR. FLINT: Absolutely; yes, sir.

6 MR. STOHR: -- Columbia River pilots?

7 MR. FLINT: Yeah. And the river pilots and the bar
8 pilots both are, you know, in the different stretches. And we
9 have been in contact with the Pilots Association, and we have
10 discussions with them, so they're aware of our plans and the
11 volume of vessels. We can plan accordingly for their purposes.

12 MR. STOHR: Great. Thank you.

13 ACTING CHAIR MOSS: And while I'm sure we'll have
14 many more detailed questions later, we were just hinting at a
15 little bit some of the process questions, so I'll thank you very
16 much for your presentation today.

17 MR. FLINT: Thank you.

18 ACTING CHAIR MOSS: And perhaps we can turn the
19 lights up back in the room.

20 And I would like to have Mr. Posner come back up here
21 and between the two of us, perhaps exclusively by him, we can
22 talk a little bit about the process going forward --

23 MR. FLINT: Okay.

24 ACTING CHAIR MOSS: -- that EFSEC will be following
25 in accordance with its statutes and rules.

1 MR. FLINT: Well, thank you, Chair Moss. We
2 appreciate the opportunity to appear here and introduce
3 ourselves to the Council and look forward to working with you
4 over the coming months as we go through this process.

5 ACTING CHAIR MOSS: It was a very useful
6 interexchange. Thank you very much -- or interchange.

7 Mr. Posner, can I put the burden on you?

8 MR. POSNER: Yes, absolutely.

9 Before we get into that, just to address
10 Councilmember Stohr's question, we have the various State of
11 Oregon agencies on our mailing list for our SEPA process and
12 also just general notification. So they should be made aware of
13 the progress as we move forward with this project.

14 MR. STOHR: Okay. Thank you.

15 MR. POSNER: So I'll just give you a quick general
16 update where we're at, and then there are a couple decisions
17 that I'll put forth to the Council as we move forward in
18 processing the application.

19 We did receive the application on the 29th of August,
20 and we have sent out all our notification letters to local and
21 state agencies and also appointment letters to various local and
22 state entities that have an opportunity to appoint somebody to
23 sit on the Council.

24 And we are currently reviewing the application for
25 site certification. We have an independent consultant that's

1 assisting us with the review, and our statute requires that we
2 have a public meeting, a first public meeting within 60 days of
3 receiving the application. So we're looking at trying to
4 schedule something towards the end of October.

5 Our statute requires that we have a land use hearing,
6 and we expect that that will probably occur in November
7 sometime. The applicant is currently working with the City on
8 land use matters.

9 And then as far as SEPA goes, as Mr. Flint said, the
10 applicant has requested that an EIS be performed for this
11 project. EFSEC Staff concurs with that, and we are prepared to
12 issue a threshold determination, a SEPA threshold determination
13 of significance, a DS, determination of significance, and with
14 that, we would also begin our scoping process.

15 So if Councilmembers have any questions on that, I
16 would be happy to answer them.

17 And then just so you're aware, the SEPA rules and our
18 EFSEC rules give the Council a couple of different options as
19 far as preparing the EIS. As has been common, most recently on
20 other EFSEC projects, we expect to have the applicant's
21 consultant and the applicant prepare a document, preliminary
22 document, a draft environmental document, EIS, for us to
23 review -- EFSEC Staff, Councilmembers, and our consultant to
24 review -- and we will ultimately decide on the document and will
25 issue that document.

1 So, essentially, EFSEC will be issuing the draft
2 environmental impact statement. As the SEPA lead agency, we
3 will be presented a document by the applicant and their
4 consultant, so just so you understand, that's the process that
5 we expect as far as processing the EIS.

6 So a schedule. Last week I sent Councilmembers a
7 packet of information electronically. I asked you to be
8 prepared to talk about schedule. And we have a couple of
9 meetings that we need to schedule, and I proposed three dates:
10 October 28th, October 29th, and the 30th. That's a Monday,
11 Tuesday, and Wednesday, I believe.

12 So what I would propose -- to refine that down even
13 further -- is that on the 28th, if Councilmembers' calendars are
14 agreeable, that we -- as is common practice in the past, start
15 off with a site tour in the afternoon of the proposed project.
16 I would propose that, Councilmembers, we do that in the
17 afternoon and then have a short break for dinner and then have
18 our public meeting, our informational public meeting, in the
19 evening.

20 And then on the next day, the 29th, we would return
21 late afternoon for the first SEPA scoping meeting. And we would
22 have, as we have done in the past, an informational part of the
23 meeting where there would be posters or informal information
24 presented for the public, and then we would have a formal SEPA
25 scoping comment meeting where the public and agencies could

1 provide comments to us.

2 So I would ask the Councilmembers to look at their
3 calendars now and let me know if the 28th and 29th work for you.

4 ACTING CHAIR MOSS: And while people are checking
5 their calendars, which I have already done, the public
6 information meeting that you're proposing for the evening of the
7 28th --

8 MR. POSNER: Right.

9 ACTING CHAIR MOSS: -- we allow for public comment
10 and --

11 MR. POSNER: Yes.

12 ACTING CHAIR MOSS: -- comment by the applicant and
13 so on and so forth?

14 MR. POSNER: Right.

15 ACTING CHAIR MOSS: Okay. It's a true public forum.
16 All right. And I am available on those dates.

17 MR. HAYES: Those dates work for me, Stephen.

18 MR. POSNER: Okay.

19 MS. GREEN-TAYLOR: They work for me as well.

20 MR. POSNER: Okay. Great.

21 MR. STEPHENSON: They work for me as well.

22 MR. POSNER: Okay. That's good. That was easy.

23 Okay. So we'll go ahead and we will -- obviously,
24 we'll take care of all the logistics, and we will share that
25 information with you. We do not have a facility yet, but we

1 will find one, and we will make sure everyone's aware of where
2 the meetings will take place.

3 ACTING CHAIR MOSS: Bryan, are you still on the line
4 there?

5 MR. SNODGRASS: I am, yes, and those dates are fine
6 here.

7 ACTING CHAIR MOSS: Okay. Great.

8 MR. POSNER: I believe that's all I have.

9 ACTING CHAIR MOSS: All right. Any questions of
10 Mr. Posner?

11 All right. Well, with that, I don't believe we have
12 any further business today, and so --

13 MR. POSNER: I just have one last item.

14 ACTING CHAIR MOSS: You caught me in time.

15 MR. POSNER: Okay. Good. Since the last Council
16 meeting, which was in July, we have hired two new Staff. I just
17 want to make everybody aware of that.

18 ACTING CHAIR MOSS: Thank you.

19 MR. POSNER: Kali Wraspir is our new support staff
20 person, and Sonia Bumpus is our new siting specialist.

21 ACTING CHAIR MOSS: Well, thank you. That was my
22 oversight. I'm glad that you did that, Mr. Posner.

23 All right. Very well. With that, then, I think we
24 have come to the conclusion of our meeting today, and we'll be
25 adjourned. Thank you.

1 (Whereupon, the meeting was adjourned at 2:33 p.m.)

2 -o0o-

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

